

WORKSHOP
STATE WATER RESOURCES CONTROL BOARD
STATE OF CALIFORNIA

—o0o—

Subject: *Review of Water Quality Standards
for the San Francisco Bay/
Sacramento-San Joaquin Delta Estuary*

—o0o—

Held in
Resources Building
Sacramento, California

—o0o—

**Wednesday, October 19, 1994
10:00 a.m.**

VOLUME VIII

A L I C E B O O K
CERTIFIED SHORTHAND REPORTER
24122 MARBLE QUARRY ROAD
COLUMBIA, CALIFORNIA 95310

PHONES: 916 457-7326 & 209 532-2018

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

---oOo---

Board Members:

JOHN CAFFREY, Chairman

JAMES STUBCHAER, Vice Chairman

MARC DEL PIERO

JOHN BROWN

MARY JANE FORSTER

Staff:

WALTER PETTIT, Executive Director

THOMAS R. HOWARD, Senior Engineer

BARBARA LEIDIGH, Senior Counsel

—oOo—

I N D E X

	Page
1	
2	
3	PATRICK WRIGHT, Club Fed, U. S. EPA, San Francisco 13
4	WAYNE WHITE, Club Fed 18
5	GARY GARTRELL, Joint Waters Group 43
6	LAURA KING, East Bay Municipal Utility District 55
7	ARTHUR GODWIN, San Joaquin River Tributary Agencies 58
8	WILLIAM R. JOHNSTON, San Joaquin River Tributary
9	Agencies 59
10	STEVE CRAMER, San Joaquin River Tributary Agencies 69
11	STEVE HALL, Executive Director, Association of
12	California Water Agencies 80
13	ROGER FONTES, Northern California Power Association 82
14	RICHARD MCCANN, Economic Consulting Firm, MQ 86
15	LON HOUSE, Northern California Power Association 98
16	PATRICK PORGANS 103
17	GARY BOBKER, Bay Institute 110,
18	DAVID FULLERTON, National Heritage Institute 119
19	PETER MOYLE, County and City San Francisco 123
20	STEVE OTTEMOELLER, Chief of Water Resources, Westlands 127
21	
22	--o0o--
23	
24	
25	

1 WEDNESDAY, OCTOBER 19, 1994, 10:00 A.M.

2 --o0o--

3 MR. CAFFREY: Good morning and welcome to this sixth
4 in the series of workshops on standards for the Bay-Delta
5 estuary.

6 My name is John Caffrey. I am Chairman of the State
7 Water Resources Control Board.

8 Let the record show that the full Board is present.

9 Proceeding from my far left is our Executive
10 Director, Walt Pettit. Next to Mr. Pettit is Board Member
11 Marc Del Piero, and immediately to his left is Board Member
12 Mary Jane Forster. To my immediate right is Board Vice
13 Chairman, Jim Stubchaer, and next to Mr. Stubchaer is John
14 Brown.

15 At our staff table we have Tom Howard, Senior
16 Engineer, and Barbara Leidigh, Staff Counsel.

17 We have several other very capable staff members
18 available in the front row to assist us as time goes on.

19 I will read this for the record. This is the sixth
20 workshop in which the State Water Resources Control Board
21 will hear oral comments and recommendations regarding the
22 water quality standards for the Bay-Delta estuary. At this
23 workshop the Board will receive a progress report on the
24 alternative sets of standards.

25 The Board appreciates the important work the parties

1 have put into developing alternative sets of standards for
2 the Bay-Delta estuary.

3 To maximize the value of this work to the Board and
4 to keep everyone updated, the Board's Executive Director,
5 Walt Pettit, conducted two publicly noticed technical staff
6 workshops with the parties recently. Additional technical
7 information was provided at the two staff workshops along
8 with refinements of the alternatives. We encourage all of
9 the parties to continue to work together.

10 As you know, the comments and recommendations
11 received during this series of workshops will be used to
12 prepare a draft water quality control plan which will be
13 released in December, 1994.

14 About two months after the draft plan is released,
15 the Board will conduct a hearing in which the interested
16 parties will have a further opportunity to comment.

17 After the hearing, we will make whatever changes are
18 needed, provide copies of the revised draft to the
19 interested parties, and then hold a Board meeting to
20 consider it for adoption.

21 If you intend to speak today, please fill out a blue
22 speaker card and give it to our staff at the front table.
23 You have seen them, they look like this. We would
24 appreciate your submitting those as soon as possible.

25 Conduct of the workshop: Today's proceedings are

1 described in the notice. Additional copies of the notice
2 are available from staff.

3 This workshop will be informal, and today we want to
4 hear from the parties on the key issues specified for this
5 workshop which are in the notice.

6 Each party will have 20 minutes for an oral
7 presentation, and we would appreciate it if you do not
8 repeat yourselves or at least repeat what others have said.

9 If you indicate that you are in agreement with what
10 others have said, it will shorten the time that we need to
11 spend here today. If you need additional time, please
12 explain why the additional time is necessary. If we are not
13 able to provide you all the time you think you would like,
14 we encourage you to submit your presentation in writing.

15 In the interest of time, we ask that parties avoid
16 repeating details already presented, as I said earlier.

17 We will accept and we encourage written comments.
18 You need to provide the Board and the staff 20 copies of any
19 written comments and recommendations and make copies
20 available to the other parties who are here today.

21 A court reporter is present and will prepare a
22 transcript. If you want a copy of the transcript, you must
23 make arrangements with the court reporter.

24 There will be no sworn testimony or cross-examination
25 of the parties today, but the Board members and staff may

1 ask clarifying questions.

2 I believe we have about a dozen cards and within
3 those dozen cards there is one group presentation.

4 Today's key issue is carried forward from the fourth
5 and fifth workshops. It is:

6 *What fish and wildlife standards should the*
7 *State Water Resources Control Board evaluate as*
8 *alternatives in this review?*

9 We will call the parties in the order that we have in
10 other workshops; first, elected officials for the State,
11 Federal and local governments; second, representatives of
12 State and Federal and local agencies; third, all others in
13 the order of the submission of their speaker cards.

14 Unless there is some real difficulty with scheduling,
15 we would like to do our best to stay within that order.

16 You may continue sending written materials to Mr.
17 Pettit and/or Mr. Howard. If you do that, we ask that you
18 send 20 copies of your materials, and also, send copies to
19 the parties that have participated in these workshops.

20 Any materials received by the Board will be made
21 available for inspection by interested persons.

22 We thank those parties who have been using these
23 workshops as an opportunity to help the Board develop a plan
24 that will provide reliable and reasonable protections for
25 the estuary and all its beneficial uses.

1 Before we proceed, I would turn to my fellow Board
2 members and see if there's anything they wish to add at this
3 time.

4 All right. And before we get into today's
5 proceedings, I have the pleasure of deferring to Mr. Brown
6 and asking him to introduce a couple of guests.

7 MR. BROWN: Thank you, Mr. Chairman.

8 Today is Career Day at Valley High School, and
9 there's two gentlemen in the audience that are aspiring to
10 become members of that engineering profession.

11 Carlos Ruiz, if you would stand, please, who is a
12 senior at Valley High School; and Wayman Brown, a junior at
13 Valley High School.

14 Thank you, gentlemen, for joining us today
15 (applause).

16 MR. DEL PIERO: Mr. Chairman, does that mean all the
17 engineers have to be on their best behavior today?

18 MR. CAFFREY: I think so, Mr. Del Piero.

19 Let me say on behalf of the whole Board, Wayman and
20 Carlos, welcome, and we hope that the legacy that we all
21 leave with you as you come into the profession will be one
22 which does not have to grapple with this problem.
23 Hopefully, we will solve it before you get here. All right
24 (laughter).

25 That's probably the best joke I have come up with so

1 far (laughter).

2 MR. DEL PIERO: And he delivered it with a straight
3 face, too.

4 MR. CAFFREY: All right. We will begin today's
5 proceeding with a presentation from our Executive Director,
6 Mr. Walt Pettit. We are kind of anxious to hear what
7 progress may have been made in the workshops that he
8 conducted in trying to winnow down and hone down the
9 alternatives.

10 Mr. Pettit, we would certainly love to hear from you.

11 MR. PETTIT: I think I will use the podium so you
12 don't have to do a partial left face.

13 MR. CAFFREY: If that's more comfortable for you,
14 that will be fine.

15 After we hear from Mr. Pettit, we will go to the blue
16 cards and ask you besides whatever you had planned to
17 present, if you have comments on what he has presented to us
18 on relatively short notice if you are able to comment on
19 what Mr. Pettit says today, it would be appreciated, and if
20 you can't, of course, please do so in writing as soon as
21 possible.

22 Good morning, Mr. Pettit.

23 MR. PETTIT: Good morning, Mr. Chairman and Board
24 members.

25 Mr. Del Piero, I thought the presence of the guests

1 today meant that everybody had to defer to the engineers in
2 the crowd.

3 MR. DEL PIERO: That's not what it means.

4 MR. PETTIT: Missed again.

5 Mr. Chairman, as you indicated, at the conclusion of
6 the last workshop you directed the staff to hold a series of
7 staff workshops, which we did do.

8 The intention was to try to facilitate a consensus
9 with the objective of bringing to you today a preferred
10 alternative that reflected consensus. The bad news is we
11 are not able to bring you a preferred alternative today.
12 The good news is that a lot of progress has been made and we
13 are hopeful that it will continue.

14 The time lines for bringing this all to fruition are
15 getting to be of increasing concern, and I will refer to
16 that a little bit later, but we are still hopeful that we
17 can bring this to a successful consensus.

18 I should back up a little bit and probably bring this
19 discussion into a little more narrower context or a little
20 more narrower focus. As you know, we had previously
21 identified at least nine alternatives for consideration as
22 potential sets of Delta standards, and we had DWR run water
23 supply impacts analyses on at least those nine sets of
24 standards as well as all the other things they were doing.

25 The intention of all of us and all of the parties, I

1 think, was to strive toward a solution that would result in
2 a set of technically credible standards that still had
3 acceptable water supply impacts.

4 Now, attention in recent days and weeks has focused
5 in on three of those alternative sets of standards. The
6 first one is the proposal developed by the California Urban
7 Water Agencies in conjunction with some of the west side
8 agricultural interests.

9 There was a second alternative set of standards that
10 was developed by the consultants, primarily from Kern County
11 Water Agency; and, of course, a third set of standards
12 central to this issue is the U. S. EPA set, because if we
13 are to achieve the objectives of the framework agreement, we
14 have to come up with a set of standards that is either equal
15 to or considered equivalent to EPA's and EPA could adopt
16 them.

17 I believe that any successful package that we develop
18 is going to be a refinement of one or more of those
19 particular three sets of standards. In fact, I understand
20 that the two water user proposals basically now are merged
21 and you have a handout on your dais that I haven't had a
22 chance to look at yet which may reflect that.

23 We have either a common proposal or at best we are
24 down very close to a single option from the user community.

25 There are still some problems in resolving the

1 differences that stand in the way of consensus and some of
2 them are relatively amenable to solution and some of them
3 are still relatively serious. For example, the water users'
4 proposals approach the X2 standards differently from what
5 EPA does. I don't think that's an insurmountable problem at
6 all. We still don't have consensus and haven't had a great
7 deal of discussion on how we present the Suisun Marsh and
8 the tidal wetlands, and what standards we use there.

9 There's also still some discussion on the flow
10 requirements in the San Joaquin River and the appropriate
11 way to express controls on the export pumps.

12 The biggest issue, however, is to the instruction
13 that you gave me when this process started, and that is
14 that, at least as I understand it, that a preferred
15 alternative must have the shelf life contemplated in the
16 framework agreement.

17 I understand that the water users believe that the
18 proposals now on the table accomplish that; that is, that
19 the improvements that would be achieved by other standards
20 are sufficient that the salvage numbers at the export
21 pumping plants that have been used as an expression of the
22 take limits could be removed if these standards were
23 implemented.

24 The federal agencies at this point, I think, believe
25 that additional measures, and that translates to additional

1 water, are required to achieve that certainty. And the
2 federal agencies are in the process now of trying to develop
3 criteria and resultant numbers that would achieve that
4 certainty that they need to lift the numbers at the pumping
5 plants or raise them substantially.

6 We hope to have the information from the federal
7 agencies quite soon so that they and we can continue
8 discussion with the Club Fed agencies.

9 As that proceeds, the State Board staff will either
10 try to facilitate that effort as best we can or get out of
11 the way, whichever approach seems to be most promising.

12 As you know, Club Fed is facing a December 15 due
13 date for promulgating their final standards. The Board has
14 also confirmed and the framework agreement reflects that we
15 intended to put out a water quality control plan sometime, a
16 draft plan, sometime during the month of December. Time is
17 getting very short to meet those deadlines for all of us.
18 However, given the progress that has been made, I don't
19 recommend any change in the approach that's being taken at
20 the moment.

21 Now, if you have questions about the specific
22 standards, the rest of the staff and I can attempt to answer
23 them at this point, or any time during the proceeding.
24 However, given the state of the discussion, I'm not sure
25 that that will produce much in the way of results right at

1 the moment anyway.

2 I think Club Fed representatives, and I believe
3 that's Mr. Wright, are prepared to either confirm or correct
4 my perspective on where we stand at the moment, and there
5 are a number of others here, as you have indicated, who wish
6 to address you today.

7 I guess the bottom line from my standpoint is I would
8 recommend that you maintain your current direction to staff
9 as to how we should proceed.

10 With that, I will try to take any questions you have.

11 MR. CAFFREY: Thank you very much, Mr. Pettit.

12 Are there questions of Mr. Pettit from the Board
13 members?

14 I was wondering, Mr. Pettit, if we have any recent
15 runs from DWRSIM on the water costs of the latest versions
16 of the alternatives.

17 MR. PETTIT: No, I think a couple are being run at
18 the request of the federal agencies. I have not seen the
19 results yet. I don't think we have anything new that we
20 have asked for; do we, Tom?

21 MR. HOWARD: No, not yet.

22 MR. CAFFREY: Maybe this question I am about to ask
23 is more appropriately placed to Club Fed. You mentioned
24 that, if I heard you correctly, Club Fed is looking at
25 additional needs for water over what U. S. EPA has offered

1 as their alternative.

2 Do you know if there has been any analysis by Club
3 Fed of the other two alternatives?

4 MR. PETTIT: Yes, there have been detailed
5 comparisons of the various EPA standards with the standards
6 in the other two alternatives, which now may be a single
7 alternative, so line by line and standard by standard, yes,
8 there have been a number of comparisons.

9 The technical folks have been meeting almost
10 continuously to look at the merits of the various proposals.
11 I think they were at least scheduled to meet again
12 yesterday. I have not heard the results of that.

13 MR. CAFFREY: All right, thank you very much, Mr.
14 Pettit.

15 Please join us back up here.

16 MR. PETTIT: Thank you.

17 MR. CAFFREY: And we will go to the presentations --
18 let me read the cards that we have so you will all know the
19 approximate order of how we intend to proceed.

20 First, we will have a presentation by Club Fed, Wayne
21 White and Patrick Wright; then, Laura King of East Bay
22 Municipal Utility District; then, we will hear from Greg
23 Gartrell, the joint water users; and then, William R.
24 Johnston of San Joaquin River Tributary Agencies; then, we
25 will have a group presentation from Steve Hall, Roger Fontes

1 and Richard McCann, representing ACWA; and then, we will
2 hear from Gary Bobker and David Fullerton representing the
3 Bay Institute and the National Heritage and the
4 Environmental Defense Fund; and then, we have Patrick
5 Porgans, a member of the public, and Lon House, if I am
6 reading that correctly.

7 So, that will be the general order that we will try
8 to follow.

9 Let us begin then with the presentation from Club
10 Fed, Mr. White and Mr. Wright.

11 Good morning, gentlemen, welcome. We are anxious to
12 hear what you have to say.

13 MR. WRIGHT: I am Patrick Wright from U. S. EPA, San
14 Francisco.

15 We are pleased to be here again at the Board's last
16 workshop. I thought that it may be appropriate, since it is
17 the last workshop, just to reflect back briefly on how far
18 we have come in the last year or so when we started this
19 process, and to just briefly go through the number of
20 concerns and issues that all the parties raised or have
21 raised over the past year, and to reflect on how we have
22 tried to address each of them.

23 As we developed our federal proposal last year, we
24 heard a number of different concerns. One was that we
25 should try to develop standards; that is, jointly with the

1 State, that provide as much flexibility as possible for
2 project operations, and I think it is fair to say that
3 through the consensus-based approach, we have had through
4 the sharing of information among the biologists and
5 technical people, that we have come up with an approach to
6 the standards that substantially reduces the water supply
7 impacts while retaining our target level of protection, so I
8 think we really have come through with respect to that
9 particular commitment.

10 Secondly, we heard that whatever standards emerge
11 from this process should be based on sound science and
12 particularly on movement away from a single-species approach
13 to more of a habitat-based approach, and I think again, it's
14 striking when you look at all the different proposals that
15 have been suggested to the Board, the degree to which all
16 parties now are in agreement that we do need to take a more
17 comprehensive view of the estuary not only for certainty for
18 the biological resources, but for certainty for water users
19 as well.

20 So, I think when you look at the different
21 alternatives, the differences truly are a matter of degree
22 rather than reflecting fundamental differences of approach
23 toward protection of the estuary.

24 Third, we heard that the Federal Government really
25 needed to come up with an integrated federal package, that

1 people didn't want to hear a different set of
2 recommendations from EPA, the Fish and Wildlife Service and
3 NMFS, et cetera.

4 As you know, we worked real hard last December to
5 come up with a coordinated package, and I think you will
6 find this year the package will be hopefully equally
7 coordinated and integrated, and will pull in a number of
8 different federal agency actions and programs to try to
9 deliver the kind of certainty that people have been asking
10 for.

11 Fourth, while a number of commenters said that EPA's
12 proposal was a step in the right direction, everyone
13 emphasized the need for the State to get back into the
14 picture. It's certainly been EPA's goal from the beginning
15 to have State-approved standards, and I am pleased to say
16 that through the framework agreement, we at EPA particularly
17 are pleased that the Board's commitment through that process
18 is to develop draft standards and final standards next
19 spring, and we have made the commitment again through the
20 framework agreement that we will withdraw the federal
21 standards if those State standards are approvable under the
22 Clean Water Act.

23 And I am happy to say that we have had some excellent
24 discussions with your staff over the past several weeks and
25 months, and remain optimistic that while there are still

1 some differences out there, as Walt mentioned, we do have a
2 process in place that we think can lead to mutually
3 acceptable standards.

4 Fifth, we heard a large number of parties say that we
5 need to look toward to a more equitable allocation of water
6 supplies regardless of what standards emerge, and that is,
7 that all users who divert supplies from the Delta should
8 bear some responsibility for protecting the estuary.

9 Again, the framework agreement reflects this concept
10 by establishing a process for determining the State and
11 Federal projects' fair share for the standards next year
12 while the State Board goes through the water rights process
13 to determine the obligations of the other parties.

14 Sixth, we heard rather strongly that it wasn't enough
15 for the State and Federal Governments to deal simply with
16 water quality standards in the short term, that we also
17 needed to begin the long-term planning process on Delta
18 solutions with the Federal Government as a full partner.

19 And, again, I am pleased to say that we have made a
20 tremendous amount of progress in setting up that long-term
21 process. We still have quite a number of details to
22 resolve, but we are all hopeful that that process can be up
23 and running early next year.

24 Seventh, we heard that we needed to have an open
25 process, that if this was going to work, we needed to have

1 the full involvement of the parties and interest groups. We
2 at EPA have tried to do that in our standard setting process
3 to be as open and above board as possible with all the
4 parties, and we are pleased that the Board has adopted that
5 approach in these hearings. I think it has really
6 contributed to the success of our efforts so far.

7 And then, finally, as I have mentioned, a major theme
8 has been certainty in shelf life. We in Club Fed have been
9 working very hard over the past month or two to try to
10 determine all the possible federal actions that might occur
11 over the next several years to determine which of those
12 actions may or may not have potential impacts on water
13 supplies.

14 So, in conclusion, I think we have in the past year
15 made tremendous progress in trying to deliver on these
16 commitments and to try to resolve what remaining differences
17 we have. I think all of us were hopeful we would arrive
18 here today, as Walt said, with a consensus package.
19 Unfortunately, we are not quite there yet.

20 I think Walt gave a fairly accurate summary of some
21 of the differences that remain, but we certainly don't think
22 any of them are insurmountable, and I think we are confident
23 that we have established a process that will lead to
24 mutually acceptable standards that have broad-based support.

25 We know for that to happen it has to happen very

1 quickly, but we on the federal side are committed to do
2 whatever it takes to try to get there.

3 I will turn it over to Wayne to say a few more things
4 about the ESA process.

5 MR. WHITE: Mr. Chairman and members, my name is
6 Wayne White.

7 I would like to take a moment to talk about the
8 ongoing process under the Endangered Species Act, the
9 Section 7 consultations and the operations of the projects,
10 and Section 7 consultation on the EPA water quality
11 standards.

12 As you well know, December 15th is, once again, a
13 magic date for the federal side of this coordinated effort,
14 and we are looking to complete our consultations by that
15 date, December 15.

16 We continue to work closely with the project
17 operators. And the emphasis of our discussions at this
18 point are looking at providing that certainty relative to
19 incidental take. That has always been an unknown. We are
20 working to get to a point where it is a known factor and the
21 actual operational impacts are minimal at worst.

22 Also, another emphasis we are pursuing is the
23 implementation of the framework agreement and looking at
24 sharing the impacts of those operations throughout the
25 users.

1 The other thing that we are trying to end up with at
2 the end of this consultation is, in fact, to put the State
3 in the lead where it belongs as part of the water quality
4 plan, development of the plan and its implementation.

5 And in that regard, we are looking at providing that
6 certainty while the State goes through that process, that
7 roughly three-year process.

8 And as we look to the future in the development of
9 the water rights implementation, we are looking at the
10 opportunities and the tools that we have within the
11 Endangered Species Act specifically, and I have mentioned
12 this before to the Board, the opportunity to use a special
13 4D rule that would basically redefine take such that
14 anything that falls within the plan's implementation would
15 by definition not be take under the Endangered Species Act,
16 the same approach we have taken with the State down in
17 Southern California on the natural community conservation
18 planning effort.

19 Under that approach, the operations of the projects,
20 the implementation of the plan would be a no-jeopardy under
21 the Endangered Species Act. Take would not be an issue.

22 And this would lead us into a parallel action that
23 the federal side and the State side would continue on the
24 implementation of the framework agreement, and the
25 development of the long-term plan in the ultimate

1 implementation of the CVP Improvement Act.

2 Let me summarize quickly in bullet form. What
3 Patrick and I have said as far as the objectives we are
4 trying to pursue from Club Fed and with Cal Fed, and that is
5 our first objective, is to get this into a State lead where
6 it belongs, that our approach is multispecies/ecosystem
7 protection that provides protection and starts to lead
8 toward recovery of the endangered and threatened species,
9 and that precludes the listing of additional species, that
10 certainty is provided and that take does not become an
11 additional burden upon the projects, and certainty in that
12 additional species would not be listed as a result of water
13 allocation within the Delta.

14 I would footnote that because you may come under a
15 situation where you have to list a species for other
16 reasons, but that the outcome would not be an impact as far
17 as water movement and implementation of a State water
18 quality plan; and that we have sharing of the impacts among
19 all the users.

20 Another objective that we are pursuing now is to see
21 if the Delta portion of the plan can also meet the needs of
22 the Central Valley Project Improvement Act doubling plan,
23 and that finally, Cal Fed and interest groups dropped to a
24 consensus on what the long-term solution to the Delta and
25 the Central Valley watershed is.

1 And with that, we would be glad to take questions.

2 MR. CAFFREY: Thank you very much, gentlemen. I will
3 look to my fellow Board members.

4 Mr. Stubchaer.

5 MR. STUBCHAER: I am very encouraged to hear your
6 definition or the potential addressing of the take problem
7 with the 4D rule.

8 What time period do you envision could be given
9 certainty by implementation of that rule and the other
10 measures you have mentioned?

11 MR. WHITE: As we look at it right now, and this is
12 something we need to sit down and to bring in all the
13 players to talk about and see where it worked and how it
14 worked before, but the 4D rule, the special 4D rule which at
15 this point is only eligible under strict interpretation of
16 the act for threatened species, so it deals with the Fish
17 and Wildlife Service side of the listed species, and we
18 would see this 4d rule meshing with your water rights or
19 water plan implementation, that that defines under the act
20 what take is or is not.

21 That's where we see that lock and key coming
22 together.

23 Before then, we haven't looked close enough at it to
24 see if it fits in there somewhere, but this would be another
25 tool, and again, drawing the analogy with Southern

1 California, it is kind of a lock/key system with the State
2 legislation, and that natural community conservation
3 planning legislation, defines what take is, so it is a State
4 process that defines on a federal level what take would not
5 be.

6 MR. STUBCHAER: If it does not apply to endangered
7 species, how do we get around the taking with the problem of
8 salmon at the pumps?

9 MR. WHITE: If you will allow me to speak for the
10 National Marine Fisheries Service to some degree, there are
11 opportunities. One of the things we are trying to deal with
12 right now are more candidate species, I think some of the
13 issues we are trying to look at in the sense of certainty,
14 because we have elevated the standard by which we are all
15 looking at this process now, and that is certainty.

16 We all want certainty so we don't have to come back
17 and list species. We all want certainty so we don't have
18 take. Certainty is a two-sided road. Something has to come
19 for certainty to be offered.

20 If, in fact, we can provide the certainty for those
21 candidate species, then within the act the National Marine
22 Fisheries Service could look at the opportunities to
23 downgrade or reclassify an endangered species to a
24 threatened species because we have some protective measures
25 in place. Then, a 4D rule would fix.

1 There's another provision within the act that some
2 have interpreted to say you could provide a 4D fix for an
3 endangered species. That's never been tested before, so
4 it's unclear if that's really a tool that we have.

5 But, if we step into this three-year process and we
6 have in place in the Delta the certainty measures that we
7 need, then NMFS could look at it, they could propose to
8 reclassify their endangered listed species to threatened,
9 and could propose a 4D rule at the same time.

10 MR. CAFFREY: Mr. Stubchaer, would you yield to me
11 for clarification. I am a little confused and I want to
12 make sure --

13 MR. WHITE: I've been doing this for 20 years and I
14 get confused all the time.

15 MR. CAFFREY: I appreciate your efforts in this,
16 Wayne, but I thought I heard you say that the 4D rule would
17 be tied to our implementation phase which is water rights.

18 How do you activate the 4D rule or provide the
19 certainty between, say, January 1, 1995, and when we
20 complete our water rights? That's the critical obvious
21 area.

22 MR. WHITE: Understood. 4D probably isn't the answer
23 in this three-year period, that, in fact, the certainty
24 that's provided is provided in the biological opinions, in
25 the framework agreement under, I think, No. 5 or No. 6 in

1 the Points of Agreement where it says the State Board will
2 seek agreement with the project operators to implement their
3 portion of the water quality standards.

4 I think through that regulatory process or that
5 administrative process, we can provide in our administrative
6 records clearly that certainty is there and that should we
7 be petitioned to list species we can show on our
8 administrative records that there are regulatory mechanisms
9 in place that provide the protection so species would not be
10 listed.

11 That is how I see the three-year fix, the biological
12 opinion, and then agreement that, in fact, biologically
13 those things are provided.

14 MR. CAFFREY: So the critical element for certainty
15 in the three-year hiatus depends entirely on the voluntary
16 configuration, if you will, that the two projects hopefully
17 can create for operation until then, and then, within the
18 Section 7 consultation, I presume it would take some
19 modification of the operation plans under the Section 7
20 consultation, or are you going to encompass everything into
21 one new one? How would that work?

22 MR. WHITE: We are trying to incorporate the
23 provisions of what comes out of all the discussions in the
24 biological opinion, so it's implemented in the biological
25 opinion as a result of the biological opinion.

1 MR. CAFFREY: Thank you.

2 Mr. Stubchaer, please proceed.

3 MR. STUBCHAER: Going on to another matter, you
4 mentioned the CVPIA, trying to possibly integrate the
5 requirements of that act into the standards. Do you have
6 any specifics on that? Have you done any studies that
7 indicate how much of the 800,000 acre-feet of water required
8 by that act for environmental purposes would be usable for
9 Delta purposes?

10 MR. WHITE: What we are in the middle of is a
11 multitude of analyses and computer runs, and I wish I had a
12 penny for every minute the computers are running to do all
13 these different runs.

14 We have not completed the analysis. We need to know,
15 first, what the operations of the projects are going to be
16 this year. Then we need to overlay on that what we are
17 putting together as the technical position on the flow needs
18 for the doubling plan.

19 When you get that picture, then you can start to make
20 some policy decisions on where the 800,000 acre-feet is
21 going to fall. If the doubling plan falls all within the
22 operations, then it is somewhat of an easy decision. If you
23 have a lot that falls outside of the operations of the
24 project, then you have a problem.

25 We have a mandate to double the anadromous fish runs.

1 We are concerned that the standards deal with the Delta but
2 a lot of our problems are upriver and it's going to take in
3 the long run, in our view right now, based on what we have
4 put together, it's going to be more than 800,000 acre-feet.

5 MR. STUBCHAER: From just the CVP?

6 MR. WHITE: It will take more than 800,000 acre-feet.
7 We have authority to buy water from willing sellers so we
8 know we have 800,000 under the act. Any additional water
9 would come as a result of willing sellers, and where and how
10 that water will be used is an ultimate question you have.

11 If it is simply up in the watershed and not in the
12 Delta, then you can use it upriver and put it to other
13 beneficial uses after it fulfills instream flow needs.

14 So, there's a lot more questions than I have answers.

15 We need to do those two analyses first to really see
16 what those differences are, and then, you can make a policy
17 call on where the 800,000 goes.

18 MR. STUBCHAER: Thank you.

19 MR. CAFFREY: Mr. Brown.

20 MR. BROWN: Thank you, Mr. Chairman.

21 The CVPIA identifies the 800,000 acre-feet, but it
22 also identifies another 120,000 acres of wetlands that need
23 to be developed, or the Secretary is required to develop,
24 which would require another half a million acre-feet.

25 It also identifies 200,000 acre-feet more out of the

1 Trinity for environmental purposes.

2 So, that total may be as much as 1.5 million acre-
3 feet from the CVPIA.

4 Also, in the CVPIA I read it as a requirement and not
5 an option for the Secretary to look at alternatives or
6 options to restore those quantities of water diverted away
7 from the Central Valley Project for environmental purposes.

8 What's the progress on doing that, and I would like
9 to add I think the importance of developing those options,
10 whether it is water marketing, transfers or conservation
11 practices, a multitude of things agriculturally and for
12 domestic water also, the importance of developing those
13 options as quickly as possible so there's less negative
14 impact that has to be addressed with the current contractors
15 for those waters.

16 MR. WHITE: I think we all know what the possible
17 options are, and within those options are those alternatives
18 that we have. Some will fit better in trying to fix
19 particular aspects of the wetlands enhancement exercise, so
20 I don't think we have thrown anything off the table and have
21 closed our minds to the various opportunities out there. We
22 aren't yet at that point.

23 That piece of legislation has a lot in it, as you
24 well know, and the analyses, the policy decisions have all
25 yet to be really finalized.

1 We have got a long ways to go and we have all been
2 terribly busy focusing in on the Delta and the exercise that
3 we are in right now to really get all the answers to the
4 various tasks that we have in the CVPIA.

5 MR. BROWN: Those are such large quantities of water
6 and can have such a tremendous impact, of course, in the
7 analysis that you are doing right now, I suggest that the
8 work you are doing right now without having that information
9 available to you is extremely difficult.

10 I am wondering how you are able to do that.

11 MR. WHITE: Engineers have to be on good behavior
12 today; is that right? Well, you know, there's no doubt
13 about it. I can tell you it's not an easy exercise because
14 I am striving to live through it.

15 What we are trying to do is look at what we think are
16 the major ones, those that are really going to have a
17 significance. Right now, the doubling plan is the big one.
18 Full water for refuges and wetlands, there is a whole lot
19 going on out there in the wetlands area, the Joint Valley
20 Ventures Project -- I mean, there's other avenues to pursue
21 some of that through cooperative private land and water
22 holders.

23 The doubling plan is the big one and that's the one
24 we are trying to get a handle on and trying to determine;
25 first, at the technical level what measures would be needed

1 in the sense of flow. We are almost at that point, and
2 then, once we have the project operations, then we can start
3 to really understand what some of those impacts are.

4 But we are well aware of the point that you draw out.
5 My hair used to be a different color.

6 MR. BROWN: The emphasis, I guess I am trying to make
7 is expediency and the real necessity of coming up with those
8 options to restore those quantities of water, so we don't
9 let them lag far behind. The longer they lag, the more
10 severe the impact is going to be.

11 Thank you.

12 MR. CAFFREY: Mr. Del Piero.

13 MR. DEL PIERO: You indicated you wanted to speak for
14 the U. S. Fish and Wildlife Service and the National Marine
15 Fisheries Service.

16 Is it safe to assume we are going to get a decision
17 on the splittail by December?

18 MR. WHITE: As part of our December 15 decision, that
19 will be included in there.

20 MR. DEL PIERO: Okay. After the first of the year,
21 is it possible, not probable but possible, that
22 recommendations will flow for the winter run may increase?

23 MR. WHITE: After the first of the year?

24 MR. DEL PIERO: Yes.

25 MR. WHITE: What we are trying to do -- in fact, it's

1 all incorporated in our discussion right now. One of the
2 issues that the National Marine Fisheries Service is trying
3 to do with the collective group is -- we all know we want
4 the shelf life, we want certainty, and one of the unknowns
5 is, as a lot of people continue to point out, in the sense
6 of take. What does it really mean when you have take limits
7 on a project in the sense of numbers?

8 To provide certainty, as I pointed out earlier, is a
9 two-way road. You need something in exchange, so they are
10 looking at additional measures and putting those on the
11 table now that will provide that certainty.

12 I don't think -- I mean, our whole effort is not to
13 revisit this after the 15th so that everyone understands
14 where we are going, that you all can get on with your
15 process. Maybe I put some more emphasis on the CVPIA.

16 MR. DEL PIERO: Thank you.

17 MR. CAFFREY: Ms. Forster?

18 MS. FORSTER: Just for a little historical memory,
19 let's talk about take for a few minutes.

20 Why do we have to have take anyway? I mean, if we
21 come up with some standards that are far superior to what we
22 have been doing over the years for the environment, why do
23 we have to have take? Did take come along because people
24 didn't think standards were doing that well and, therefore,
25 take would be another way of getting more water? And if we

1 come up with this new standard, isn't there some reasonable,
2 practical way we could say that we have now made that not a
3 necessity?

4 MR. WHITE: Well, this has nothing to do with picking
5 on the project. This has to do with the implementation of
6 the Endangered Species Act and congressional mandate that
7 deals with the question of incidental take that has to be
8 authorized and dealt with during a Section 7 consultation,
9 and then, the resulting biological opinion.

10 I said I have a long history in this act and it
11 clearly states in the act that it was amended to include
12 this provision for incidental take. We are obligated in the
13 biological opinion to identify what incidental take will
14 occur and to provide reasonable and prudent measures that
15 minimize and mitigate that take. That's a requirement of
16 the act.

17 What we want to get to is; one, so we have standards
18 and operations that the take in a sense can be lowered
19 because the protective measures are so good, and then,
20 eventually, as I view it, coupled in with your process to
21 get the -- let me explain what the special 4D rule is. That
22 is a mechanism where we can simply redefine take so that for
23 an action that we know is no longer take under the act,
24 that's the point I would like to get to, so there's no take
25 under the implementation of the State Water Plan.

1 But until we get to that point, we are obligated by
2 the provisions of the act and the interpretation by our
3 solicitors, that we have an obligation to deal with the
4 incidental take of a federal action in the biological
5 opinion.

6 Does that answer your question?

7 MS. FORSTER: Now I remember.

8 MR. CAFFREY: Would you yield, Ms. Forster? I am
9 confused again.

10 Wayne, does that mean that the Section 7 scheme, for
11 lack of a better term, that would result from the voluntary
12 operational plan of the two projects would be without take
13 requirements because you know ahead of time what the plan is
14 for, or does that mean that between now and the conclusion
15 of the water rights process, we would still be dealing with
16 take limits because of Section 7?

17 MR. WHITE: Yes, there will be take limits, but what
18 we are attempting to do through the consultation process is
19 have them at a level, the actual limit on that take is so
20 high such that the probability of getting to it to impact
21 the operations of the project are greatly minimized.

22 MR. CAFFREY: Your feeling is that a properly
23 configured operation plan would minimize the impacts of
24 any take limit that you would have?

25 MR. WHITE: Yes. What we are looking at right now,

1 just to give you kind of a general sketch, what we had last
2 year was a single-level 14-day running average. When you
3 hit that, we got together and made changes. What we are
4 doing is the equivalent of a two-step process which says
5 here is a warning level, project operations. You haven't
6 hit the upper limit, but maybe you need to look at what
7 opportunities you have in the projects to change or shift.

8 Last year they were shifting pumping loads from one
9 project to the other. There's things they could do and
10 still export the levels that they want.

11 And then, there would be a higher level that says,
12 now we need to do something because you are at that level
13 that's above that that we authorized in the biological
14 opinion. But it is the idea of raising that level up
15 because of the protective measures, the additional
16 protective measures that you are providing and, therefore,
17 the relative take is not as important to the species because
18 we are doing other things to insure protection for the
19 species.

20 Does that --

21 MR. CAFFREY: I am hopeful that that can be
22 translated into a definition of reliability that people can
23 accept.

24 MR. WHITE: Yes. . . .

25 MR. CAFFREY: Ms. Forster.

1 MS. FORSTER: I just had a question. It is not very
2 technical. It is more like how do you feel.

3 I have been reading all the alternatives and I am
4 truly impressed with the new thoughts and new technical
5 opportunities for better operations, real sensitivity to the
6 months that the fish are spawning and the fish are moving,
7 and I want to know, in your opinion, and I am just a novice,
8 I am not a fisheries biologist, but it looks like such a
9 significant improvement to me.

10 Do you feel that way about this, too? Do you think
11 that you and the National Marine Fisheries Service just in
12 the shift from where we were in
13 D-1485 or even in '91, do you see vast improvement in what
14 they have come up with technically about how to deal with
15 some of these issues versus five years ago?

16 MR. WHITE: Absolutely. Just the fact that the
17 parties are more able to sit down and talk and have
18 constructive dialogue, not destructive dialogue -- that's
19 been a major change. We are getting close. We're not that
20 far apart. But there are provisions of the various
21 alternatives that we need to be able to understand why they
22 are recommended biologically. What is the force of some of
23 those provisions?

24 When we got into this we made it abundantly clear we
25 were looking for EPA standards or equivalents. I think that

1 equivalents are where people are really getting constructive
2 dialogue, things that get you the same things which are
3 tweaked here and not over there, so yes, I feel a lot
4 better. I hope you do, too.

5 MS. FORSTER: I do.

6 MR. CAFFREY: Mr. Stubchaer.

7 MR. STUBCHAER: A question on take. What about take
8 by predators such as striped bass? Is there anything in the
9 plans to address that? Is it still wise for us to include
10 enhancement of striped bass in the water quality standards
11 and implementation?

12 MR. WHITE: This is really a question I hate to
13 answer. The best way to answer it is that, in fact, we have
14 data that shows that both those species occur in high
15 numbers together, so you can have them both co-existing.

16 How you deal with that now in depressed populations
17 and what that means is a very difficult analysis to
18 understand. I mean, we have an obligation under CVPIA to
19 double anadromous fish and that includes striped bass. They
20 can co-exist. We know they have and we need to build the
21 best process to get to that, that includes a whole lot of
22 measures outside just the question of water.

23 MR. STUBCHAER: That's interesting. I didn't know
24 it included non-native fish in the document.

25 MR. CAFFREY: Thank you, Mr. Stubchaer.

1 Let's just say, gentlemen, that we certainly heard
2 from Mr. Pettit and our staff that you two gentlemen as well
3 as your compatriots, but you two especially, worked very
4 hard to try and solve this complex puzzle, and all of us on
5 the Board do appreciate that.

6 Having said that, I must say to you that time is so
7 critical that we are quickly running out of it. So, if we
8 are going to be able to do what we need to do in terms of
9 legal documentation that requires us to put a duly
10 authorized legal draft plan out for the public to review by
11 the end of this year, the very complex problems that you are
12 still groping and grappling with need to be solved in days,
13 as I see it, and I hope you are able to do that, and I must
14 also say, and I will speak for myself in this regard, you
15 heard Mr. Pettit talk about a cluster of alternatives, and
16 we must assume from his statement that there certainly are
17 differences among those three alternatives, but there are
18 similarities as well, and I would say it would be
19 problematic if what you eventually end up with sort of moves
20 too far adrift from any of these clusters because I'm not
21 sure what it would mean.

22 It seems as our staff is zeroing down now on a
23 configuration of standards, or at least three groups of
24 alternatives from which you might be able to develop some
25 reasonable kind of mix.

1 Hopefully, what you come up with stays in that
2 ballpark and still provide the shelf life and everything
3 else; otherwise, I don't know where this will put us all.

4 Ms. Forster.

5 MS. FORSTER: I have one more non-technical practical
6 question.

7 I understand that you had a meeting at San Francisco
8 on Friday with your counterparts and maybe Betsy Rike was
9 there, and I understand just from rumor that the plan was
10 that they hoped within two weeks that you would have what
11 the federal package looks like.

12 I guess I want to know if that's true and if that's
13 the plan.

14 Here is what I think is so difficult, and maybe I
15 just don't understand if we are sharing openly or we just
16 wait until December 15 and surprise each other. I would
17 think with the expectation that the State would be in the
18 lead, that the State would develop standards that matched
19 your standards, and we have to develop this document and get
20 going on it, that you would try to keep that commitment and
21 give us your best shot, and then we know that we have some
22 very sound data to work with that we can see if we can match
23 it or the equivalent, because we have, as John says, we only
24 have a few weeks left, so I am hoping that the rumor is true
25 that in this two-week time frame, everybody will just do the

1 best they can.

2 We all have learned from this process. We don't know
3 exactly what's right, so we do the best we can with all the
4 meetings and data that we have had and we have it in our
5 lap, and we look at it and we do the best we can in taking
6 into consideration that Californians have done the best they
7 can.

8 Is that a fair time frame to have expectation for?

9 MR. WRIGHT: That is our hope. That is the process
10 we have set up. We hope to have by next week when we do
11 have a larger Cal Fed meeting, at least a framework for the
12 total federal package, so it will have a EPA standard, plus
13 NMFS' thinking as to what's necessary for spring run and
14 winter run.

15 Again, that's the framework along with the total
16 potential water supply impacts of that combined federal
17 package.

18 What we may not have, unlikely to have, is every
19 other element of the package worked out in detail in terms
20 of exactly how the take limits would read, exactly what the
21 contribution of the 800,000 is, exactly how it fits in with
22 the doubling plan, and at least we hope to have the
23 framework there that will give folks a sense of closure at
24 least with respect to the larger picture and the impacts.

25 MR. WHITE: Secretary Wheeler was also there. It was

1 a very productive and good meeting.

2 MR. CAFFREY: Good to hear that.

3 Mr. Stubchaer.

4 MR. STUBCHAER: I have a question about this
5 doubling. Are you expecting the water quality standards we
6 adopt to address the doubling, or is that the CVPIA's
7 problem?

8 MR. WHITE: The objective that we would like to
9 collectively pursue is, in fact, the Delta plan as it's
10 being developed in all of these discussions, addresses the
11 needs of the doubling plan so that everybody knows the cost
12 of water in the Delta for all of this.

13 If there is additional cost, it would be instream,
14 upriver, not in the Delta.

15 MR. STUBCHAER: It is a new twist because doubling
16 is quite different from the restoration that we have been
17 talking about previously.

18 MR. WHITE: I mean, it is the jargon of the piece of
19 legislation. It refers to doubling the anadromous fish
20 populations.

21 MR. WRIGHT: I think part of what Wayne is saying is
22 that you try to address the certainty issue. The Service
23 doesn't want to be in a position a year from now of
24 releasing a doubling plan that may impact water supplies by
25 several hundred thousand acre-feet. We want to try now to

1 make sure that the standards that are adopted are consistent
2 with the Fish and Wildlife Service's current thinking, at
3 least with respect to the Delta, so that we don't have a
4 problem a year from now or two years from now.

5 MR. STUBCHAER: Consistent with but not necessarily
6 by themselves it will implement the doubling.

7 MR. WHITE: Right.

8 MR. CAFFREY: Ms. Forster.

9 MS. FORSTER: Has that been a discussion among all
10 the parties? I haven't heard it before in any of our
11 workshops until now.

12 MR. WHITE: It is something we talked about last
13 Friday.

14 MR. CAFFREY: Does the CVPIA law as it is written
15 require the doubling or does it require a written plan, for
16 instance, to accomplish that?

17 MR. WHITE: It requires a plan and implementation
18 with the objective of doubling anadromous fish where
19 reasonable.

20 MR. CAFFREY: Where reasonable.

21 MR. WHITE: Well, in some cases doubling is going to
22 be --

23 MR. CAFFREY: We certainly don't think you will be
24 unreasonable in your interpretation of that.

25 MR. WHITE: As I have always been? I was on good

1 behavior.

2 MR. STUBCHAER: A doubling from what level?

3 MR. WHITE: Sixty-seven to 91 is the level we are
4 supposed to double from.

5 MR. STUBCHAER: The average, or the highest year or
6 the lowest year?

7 MR. WHITE: Average, not the lowest and not the
8 highest.

9 MR. CAFFREY: Anything else from the Board members?
10 Anything from Mr. Howard?

11 MR. HOWARD: I had one question for Mr. White.

12 Right now you are working on redrafting the
13 biological opinion for Delta smelt. I assume that that
14 opinion will likely call for outflow similar to the X2
15 proposals that have been discussed.

16 Presently we have two X2 proposals that are being
17 brought forward to the Board, one formulated by EPA and one
18 by the urban/ag interests.

19 Would you comment on these alternatives with respect
20 to the needs of Delta smelt and whether or not it is your
21 opinion that one or the other might be required under the
22 biological opinion?

23 MR. WHITE: What we are looking at right now is the
24 EPA standard or equivalent again, and looking at an
25 implementation of that standard relative to a fair share

1 approach for the two projects.

2 MR. HOWARD: So, in your opinion, is the alternative
3 formulated by CUWA equivalent to the X2?

4 MR. WHITE: It is very hard to speak to that right
5 now because we are trying to understand the differences
6 alone from the EPA standard and the new CUWA proposal.

7 First, you have got to understand those differences
8 before you can really comment on that. Our approach to this
9 point, until that proposal came around was based on the EPA
10 2X. We have all of a sudden thrown in a new picture.

11 The Chairman made a comment about working days. I
12 tell my staff it's days and nights to figure out which one
13 we want to do, but up to this point, the outcome of the
14 biological opinion has looked at the EPA standards or
15 equivalents, the 2X.

16 MR. HOWARD: Thank you. That was all I had.

17 MR. CAFFREY: Thank you, Mr. Howard.

18 Ms. Leidigh.

19 MS. LEIDIGH: I have no questions.

20 MR. CAFFREY: Thank you, gentlemen, we appreciate
21 your time and effort, and will appreciate your future speed.

22 Next is Laura King from East Bay Municipal Utility
23 District.

24 MS. KING: With your permission, I think it would be
25 more logical if I followed Mr. Gartrell.

1 MR. CAFFREY: Oh, that's fine. Mr. Gartrell, good
2 morning.

3 MR. GARTRELL: Good morning.

4 Chairman Caffrey and members of the Board, I am here
5 representing the joint waters group and we are trying to
6 develop a consensus, and we have what we consider an
7 emergent consensus on proposals for developing a
8 comprehensive plan that is a multispecies approach.

9 I would like to recap a little bit what's been going
10 on the last several weeks, or a month and a half, and then
11 go through our approach on this and briefly discuss what we
12 are coming up with.

13 In the -- I think it was the September 1 meeting,
14 CUWA presented a proposal that we believe is a good proposal
15 to the X2 standard and meeting the goals of EPA, and the
16 Board asked that we go back and develop a comprehensive set
17 of standards to go along with that, which we refer to as
18 Category 2.

19 We started work on that immediately and during the
20 course of that work we began to work together with other
21 water users such as the San Luis Delta Mendota Water
22 Authority and the Kern County Water Agency in order to
23 develop an urban/ag consensus package that would be a
24 complete package and address the entire spectrum on a
25 multispecies approach. We now have in that package a

1 description of four categories.

2 We are at a point now where we are working very hard
3 to complete the documentation, the biological justification
4 for each action, and complete the descriptive material on
5 what the proposal actually does, and that, I think, relates
6 to something that Mr. White has indicated on helping to
7 determine if there are any differences between these
8 proposals, or if there's a real difference, and from our
9 meeting yesterday, we believe it is probably relatively
10 minor.

11 We have been working very hard with other groups to
12 understand the technical differences between the proposals
13 and the Club Fed approach. In fact, we had a meeting
14 yesterday with those people which included a wide range of
15 others, environmental groups and other interests, and the
16 California agencies, and I will get into that in a little
17 bit at the end because I know that is of interest.

18 We are also working on cleaning up the proposal in
19 terms of refinements to make sure it has aspects that are
20 completely compatible with real operations, to make sure
21 that, for example, that the averaging times are realistic in
22 terms of what can be done with real time operations.

23 What brought us to this was that the major water
24 users really firmly believe that the current mode of
25 operating the Bay-Delta through a piecemeal approach under

1 the ESA, CVPIA, and the Bay-Delta standards is neither
2 efficient nor protective, and we believe that there needs to
3 be a consensus on a comprehensive set of requirements in
4 order to move beyond a single-species approach.

5 We also believe, unfortunately, although there has
6 been a large number of data collected over the years related
7 to fish and wildlife, that they are insufficient and that
8 reasonable scientists can come to reasonable disagreements
9 on what the data mean, and we are still working within
10 fairly broad parameters.

11 However, in order to move beyond the stalemate and in
12 consideration of working with inconclusive data, we are
13 submitting a technical package and proposal with a
14 significant water cost, but one we think that meets the
15 criterion and is a comprehensive package, and it has four
16 categories including Category 1, which is the habitat, the
17 X2 proposal;

18 Category 2, which are other operational and flow
19 parameters related to that package, to bring the package
20 from the February/June period to the entire year and
21 focusing on the benefits of the entire estuary over the
22 year.

23 Then, Category 3, which are the additional
24 measures we believe need to be taken into account.

25 If they are not addressed, we don't believe they are

1 a complete package and I will get into those in a few
2 minutes.

3 And Category 4 is the implementation measures.

4 As I mentioned, we have an emergent consensus among
5 ag and urban water users and we are working hard to widen
6 that consensus.

7 The key element in this is environmental protection
8 for the Bay-Delta which we believe is crucial for long-term
9 health of the California economy.

10 Now, the comprehensive package is really going toward
11 an ecosystem and management approach, and we want to focus
12 on the habitat quality rather than an individual goal for
13 individual species, but to bring the entire estuary up
14 together.

15 And I would like to go through that in a little bit
16 of detail here and give you an overview of where we are at.

17 The Category 1 that we have been discussing is
18 essentially the X2 proposal, the sliding scale, which
19 includes measurement stations at the confluence of Chipps
20 Island and alternative methods for compliance with three
21 ways to comply, which are the 14-day average, daily
22 compliance or outflow.

23 What we have added to that in terms of Category 2 are
24 some adjustments. One is an adjustment in February of dry
25 and critical years, and that is one area we are working on

1 defining that on exactly what we would use to trigger that.
2 But that would demand a compliance at the confluence, which
3 is slightly different than the original package. The
4 original package does not necessarily demand a compliance
5 all the time in particular years like 1977, which are
6 extremely dry.

7 This would allow some additional benefits in
8 February. However, at the same time, it relaxes a portion
9 of that in dry years in terms of the Chipps requirement that
10 would be met through flows that are just available and not a
11 requirement, and we are working definitely on developing how
12 that trigger would work to go into the dry critical years.
13 We haven't completely developed that.

14 To the rest of it, we have added a 30-day
15 compliance in the month of April. That's largely to benefit
16 Delta smelt but it is a portion of the whole package and
17 that is a strong part of the entire ecosystem approach, and
18 coupled with that are minimum flows in May and April of
19 6,000 and 4,000 cfs. Those flows are again designed to
20 insure habitat during that period, but that's where we also
21 come in with another portion which is a 28-day compliance at
22 the confluence that would default June based on monitoring
23 that may be moved around to coincide with any late spawning
24 that might occur by Delta smelt.

25 And a significant portion of the package is a

1 monitoring plan.

2 In a number of areas we have tried to tie the package
3 to real-time monitoring and monitoring in the estuary. We
4 believe it's no longer acceptable to be in a position where
5 you can come back in three years, the triennial review, and
6 still not know exactly what measures need to be taken to
7 continue work on the package to continue its improvement.
8 Monitoring is an essential portion of this.

9 Other portions of the package include export
10 restrictions. We have export restrictions in the March-
11 through-June period of 30 percent, we have a slight
12 relaxation of 35 percent, the burden of proof being there is
13 no impact on the native species.

14 We have export restrictions through the summer that
15 range from 35 to 55, and then 65 percent at the end of the
16 summer, and then in the fall and early winter months the
17 export restrictions are 65 percent of the inflow. That's for
18 the Banks and Tracy pumping plants.

19 In addition to that, we have minimum outflows
20 throughout the year to insure better habitat than what we
21 have had historically.

22 We have a package related to two periods on the San
23 Joaquin, minimum flows during a period nominally from April
24 15 to May 15. That would, again, be tied to monitoring for
25 out-migrating salmon along with the barrier closure that is

1 an important part of this at Old River, and export limits to
2 more than what the San Joaquin inflow is, which is, in fact,
3 quite a severe limit. But that time period is essentially a
4 30-day period and the time period would be allowed to move
5 around based on monitoring.

6 Again, we have the pulse flow in the fall as well as
7 an attraction flow in the San Joaquin, and that pulse flow
8 could come as we deem it best. It would be over a week or
9 two weeks, and we are suggesting a block of water of 10,000
10 acre-feet.

11 And then, finally, we have some other attraction
12 flows, minimum requirements on the Sacramento River for
13 returning salmon in the fall.

14 In addition to that, we are suggesting Delta cross
15 channel gate closures.

16 The package that we are considering right now is from
17 June through May 20. We are also discussing moving the
18 January 1 around the best we can with monitoring to cover
19 the November-through-January period as an additional
20 protection method.

21 On the Category 3 portion of this, which we believe
22 is an important part of the package, there are other non-
23 flow measures that really need to be addressed and addressed
24 in a way that we can say as soon as possible exactly what
25 the effects of these items are.

1 Some examples are unscreened water diversions. I
2 think the attack there will probably be along the line of
3 identifying and prioritizing diversions for screening and
4 implementing that, looking at waste discharge control and
5 pollution prevention, a monitoring program to determine
6 exactly what the effects are and to the extent that those
7 need to be controlled, looking at the fishing regulations,
8 land-derived salts, controlling exotic species, restoration
9 of riparian wetlands and estuarine habitats and control of
10 Delta channel alterations and local land use.

11 This is not a comprehensive list that I ran through,
12 but we essentially want to have all of this as part of the
13 package.

14 It is necessary that these items be looked at as part
15 of the proposal. We believe that any proposal that does not
16 include these is inadequate in terms of promoting the
17 necessary levels of environmental restoration.

18 And finally, we are still discussing, and these
19 haven't been completed yet, but implementation measures
20 which include balancing among watershed users, mitigation
21 credits and a possible environmental restoration fund.

22 And again, the key element to this is a comprehensive
23 monitoring plan. We are prepared to work with the State
24 Board staff in developing that as rapidly as possible and
25 getting that into place.

1 I think there is already a question raised about the
2 meeting yesterday. This was a meeting between our group and
3 I think it started off by Club Fed going to Cal Fed and then
4 by the time I got into this, I think just about everybody
5 was there and represented, and I took notes and I had to ask
6 people how it went. It was pretty uniformly positive.

7 The goal of the meeting was to get down the areas
8 where we have disagreements between proposals or where our
9 package looks like it is and others look like theirs, and
10 identify the technical differences.

11 There were a number of areas where it appears that
12 there's really sort of a gnat's eyelash of difference and X2
13 is probably one of them, and that we are going to be
14 exchanging information to confirm those sorts of differences
15 or to find out if there really are significant differences.

16 There are some others where there are significant
17 differences. I think one is on the San Joaquin River flows.
18 In putting that together, we were not considering a package
19 that included the doubling plan. The one that was put
20 before us indicated that that was an inconsistency with the
21 government plan and we are going to be exchanging
22 information on that, too.

23 We are approaching this from a technical point right
24 now to determine exactly what the differences are and we
25 intend to continue to do that.

1 I would be happy to answer any questions.

2 MR. CAFFREY: Thank you, Mr. Gartrell.

3 Mr. Stubchaer.

4 MR. STUBCHAER: Do the flow export restrictions then
5 substitute QWEST?

6 MR. GARTRELL: That is right. We don't have any
7 QWEST restrictions.

8 MR. CAFFREY: Mr. Brown.

9 MR. BROWN: On your non-related factors as you
10 stated, I'm sure you have several that you were not able to
11 add in your report, but a couple that we are particularly
12 interested in, watershed protection and abandoned mines, do
13 you have those?

14 MR. GARTRELL: I believe they have been mentioned.
15 In part, that comes under waste discharge control and
16 channel protection.

17 MR. BROWN: Okay.

18 MR. CAFFREY: Anything else, Mr. Brown?

19 MR. BROWN: No.

20 MR. CAFFREY: Mr. Pettit? Anything from staff?

21 MR. HOWARD: Looking at the alternative that EPA and
22 other federal agencies have proposed and what CUWA have
23 proposed, you have identified three issues, one of which is
24 the San Joaquin flows; the second was the associated
25 export limits.

1 Were those San Joaquin flows? The fishery agencies
2 that recommended a fixed export limit of 1500 cfs during the
3 San Joaquin pulse flow and you have recommended 100 percent
4 of that San Joaquin pulse flow; and the third and probably
5 most significant in terms of water supply are protections
6 for winter-run chinook salmon.

7 Could you explain how the proposals put together by
8 CUWA provide adequate protections for the winter-run chinook
9 salmon?

10 I assume, though I haven't heard you say, that you
11 believe that the biological opinion for winter run, or
12 rather, there should be a no-jeopardy determination based on
13 the CUWA proposal for winter run.

14 MR. GARTRELL: Right, that's what we are working
15 toward. The main features of that in terms of the Delta, we
16 are still continuing with the upstream releases, and
17 assuming those are in place; but the main protections are
18 the cross channel closures in the winter through the spring,
19 and in the flows that are provided by X2 and the export
20 limits in that period.

21 And in the combination of those, I think we can
22 demonstrate pretty much an equivalent package or better
23 overall than going to other flow restrictions that have been
24 discussed, particularly I mean the QWEST.

25 And certainly, what we have seen from the operation

1 studies for most of the period, the QWEST factors really
2 aren't a significant difference in what we are looking at.

3 One of the other issues that I didn't mention that
4 came up yesterday was the February and January export
5 limits.

6 MR. HOWARD: Thank you.

7 MR. CAFFREY: Anything else, Mr. Howard?

8 MR. HOWARD: That is all.

9 MR. CAFFREY: All right, thank you.

10 Alex had his hand up for a question.

11 MR. HILDEBRAND: My question has to do with the
12 salinity requirements at Vernalis where the proposal called
13 for one EC salinity in the summer months, the irrigation
14 season, and .7 the rest of the year, and my question is
15 whether that was merely a mistake or whether they
16 intentionally reversed the figures that the Board adopted in
17 1991. I understand that was a mistake.

18 My second question has to do with the flow at
19 Vernalis where they only call for a flow in the spring and
20 October, and at no other time in the year.

21 The question is, does that imply that they see no
22 need for any flow, minimum flow requirement in other months
23 of the year, and that, therefore, they assume that since the
24 overall river system is overcommitted that you can meet this
25 fish flow by depleting the flow in the months that they

1 didn't indicate?

2 MR. GARTRELL: My response is that we are looking
3 here at minimum standards to protect the overall habitat,
4 and because we don't have a minimum flow all the time, it
5 doesn't mean that we don't think there are other
6 requirements on the San Joaquin.

7 MR. HILDEBRAND: My last point was, if you don't
8 establish any flow at other times of the year, how do you
9 analyze the availability of water for the fish flows without
10 first determining what flows are needed at other times of
11 the year?

12 MR. GARTRELL: Well, I think the whole availability
13 question on the San Joaquin is one that needs to be
14 addressed in terms of implementing this, and I think that
15 would have to come in addressing the overall way that this
16 standard would be met.

17 MR. HILDEBRAND: Thank you.

18 MR. CAFFREY: Thank you very much, gentlemen. Thank
19 you, Mr. Gartrell.

20 Laura King from East Bay Municipal Utility District.

21 MS. KING: Thank you, Mr. Chairman and members of the
22 Board.

23 MR. CAFFREY: Good morning and welcome.

24 MS. KING: For the record, I am Laura King with the
25 East Bay Municipal Utility District.

1 We just wanted to make a brief comment on this
2 proposal. We generally support this proposal on the Bay-
3 Delta standards, but we do have a continuing concern that we
4 wanted to put before you for the record here regarding the
5 potential impact of some of the changes that are being
6 discussed in this proposal on our ability to meet salmon
7 production goals on the Mokelumne River.

8 We still have our lower Mokelumne River Management
9 Plan pending before your Board, and we are also in
10 discussions, settlement discussions with FERC on that plan,
11 and there may be some need to adjust our goals assuming that
12 this proposal is adopted in the risk standard.

13 As I am sure you are aware, a big element of this
14 proposal to shift the pumping regime more from the fall to the
15 springtime, and our concern with that is the fall is when we
16 plant yearlings, so there may be a reduced survival rate due
17 to more pumping during the fall-time when that yearling
18 planting occurs.

19 Under our plan, we have fall attraction flows on the
20 Mokelumne River to attract in-migration and increased
21 pumping in the fall conflicts with that or reduces the
22 effectiveness of that. We are not saying that these are
23 concerns that mean you shouldn't adopt this proposal. This
24 is probably the right thing from an ecosystem perspective,
25 and that's how we are all trying to approach this now.

1 But ultimately we have an ecosystem plan that is
2 going to need to be developed that will provide for
3 management of the ecosystem as a whole, and that will
4 recognize these kinds of trade-offs.

5 We have discussed these concerns with the group and I
6 do want to call your attention in the briefing overview
7 there is a sentence in here that acknowledges this issue.
8 It is on the second page of the briefing overview tab under
9 Roman numeral IV, the second paragraph. The sentence reads:

10 The comprehensive multispecies ecosystem plan
11 must also address the environmental trade-offs
12 posed by different management strategies such
13 as impacts on the Mokelumne River salmon
14 production goals from the proposed Delta
15 operational changes.

16 And I believe that there's going to be an additional
17 document that describes the biological rationale of this
18 proposal that will contain a fuller description of this
19 issue and the possible trade-off there.

20 And I will just conclude by saying that we don't have
21 an in-depth analysis of how this is all going to affect us,
22 but potentially we may want to come back and reopen the
23 record in the lower Mokelumne River Management Plan
24 proceeding if we feel that that's something that would be --

25 MR. CAFFREY: Thank you, Ms. King. Let's see if we

1 have questions.

2 Anything from the Board members? Nothing at this
3 time.

4 Anything from staff?

5 MR. HOWARD: No.

6 MR. CAFFREY: Thank you very much. We appreciate
7 your comments.

8 MR. DEL PIERO: I would just point out to the Board
9 members that on the Mokelumne River there is no winter run.
10 The impact described by this speaker are on the runs that
11 remain.

12 MR. CAFFREY: They certainly have cornered that
13 record in this hearing process. As the Hearing Officer, we
14 appreciate your comments.

15 We have, I believe, a joint presentation next. Bill
16 Johnston, and you have with you Art Godwin, Steve Cramer, I
17 believe.

18 Please come forward. Welcome gentlemen.

19 If you would like, you can use the table. There is a
20 mike at the table.

21 MR. GODWIN: Good morning, Mr. Caffrey and members of
22 the Board, I am Arthur Godwin and I am here today
23 representing Turlock Irrigation District and with me is
24 William Johnston, representing the Modesto Irrigation
25 District, and Mr. Steve Cramer, and together we are

1 presenting this on behalf of the group called the San
2 Joaquin River Tributary Agencies.

3 Together we represent five agricultural agencies that
4 are all tributary to the San Joaquin River, the Merced
5 Irrigation District on the Merced River, the Modesto-Turlock
6 Irrigation District on the Tuolumne River, and the Oakdale
7 and South San Joaquin Irrigation District on the Stanislaus
8 River.

9 Last week at the Board staff workshop, we made a
10 presentation on behalf of the tributary agencies
11 specifically addressing the spring outflow requirements,
12 striped bass, salinity standard requirements on the San
13 Joaquin River.

14 And with your permission, we would like to provide
15 you with a brief overview of that.

16 MR. CAFFREY: Please do.

17 MR. JOHNSTON: Mr. Chairman, I am William R. Johnston
18 and we would like to talk to you briefly about both the
19 salmon issues and the striped bass issues in the San Joaquin
20 River.

21 First, in regard to the smolt survival index, Dr.
22 Terence Speed, Professor of Statistics at the University of
23 California, Berkeley, last week explained what the problems
24 were and the reasons why the U. S. Fish and Wildlife Service
25 has improperly utilized and interpreted smolt survival data

1 that we have collected.

2 He is recommending a more appropriate statistically
3 sound method of analyzing the data. Dr. Speed's conclusion
4 is that the U. S. Fish and Wildlife Service model should not
5 be used to establish temperature or flow criteria or to
6 establish policy.

7 You have a brief write-up summarizing Dr. Speed's
8 comments. He is willing to work with the Fish and Wildlife
9 Service in analyzing the data.

10 In the meantime, he is proceeding to see if we can
11 develop a statistically sound model for the San Joaquin
12 River using the Fish and Wildlife Service data.

13 Dr. Speed has also conferred with his colleague, Dr.
14 John Ligon, who has been retained by CUWA in regard to the
15 Sacramento River data and he has discussed collaborating
16 further on that data.

17 The San Joaquin tributary agencies believe that it is
18 in the Board's best interest to develop a model that is
19 sound scientifically. The U. S. Fish and Wildlife Service
20 model may have been appropriate at the time it was
21 developed, but it is certainly flawed for the purposes of
22 setting policy for the purposes that you and the EPA are
23 using it.

24 We have provided you and your staff with a full copy
25 of a paper titled, *Estimating the Influence of Temperature*

1 on the Survival of Chinook Salmon Smolts Migrating Through
2 the Sacramento-San Joaquin River Delta of California,
3 written by Peter Baker, Terence Speed and Franklin Ligon.

4 The paper basically shows that with a correct
5 interpretation of the U. S. Fish and Wildlife Service data,
6 salmon smolts can survive at temperatures substantially
7 higher than those being recommended by the Fish and Wildlife
8 Service.

9 The U. S. Fish and Wildlife Service analysis
10 indicates that increases in temperature between 61 and 72
11 degrees Fahrenheit will result in a linear increase in smolt
12 mortality.

13 The overhead shown there illustrates that point and
14 what that really says is that if you increase the
15 temperature between 61 and 62 degrees, for example, it would
16 have the same impact on smolt survival as increasing the
17 temperature between 71 and 72 degrees.

18 We do not believe that this is appropriate or
19 correct. The EPA analysis indicates that survival is
20 relatively insensitive to temperature until about 70 degrees
21 Fahrenheit.

22 The lower curve on that display illustrates Dr. Terry
23 Speed's point, that in order to properly evaluate
24 survivability you have to constrain this curve in between
25 zero and one. You cannot have more than 100 percent

1 survival nor more than 100 percent mortality. You would
2 then shift the curve along the X axis to the proper location
3 and that's the type of statistical analysis he is working
4 on.

5 Now, in regard to pulse flow alternatives, Steve
6 Cramer, who is here with us and will talk in a few minutes
7 about his work, has worked on the Stanislaus River. Steve
8 summarized his observations at the workshop and has
9 concluded that one-or two-day pulse flows are most effective
10 in making smolts that are physiologically ready to move to
11 the ocean from the river where they were hatched.

12 Steve will explain his findings, as I said, in a few
13 minutes.

14 In preparation for the State Board workshops, E. A.
15 Engineering Science and Technology has modeled the San
16 Joaquin basin for chinook salmon escapement under three
17 selected pulse flow alternatives using their salmon
18 population model.

19 This model evaluates factors impacting the life of
20 the salmon from spawning through rearing, out-migration to
21 the ocean, including ocean fishing impacts to escapement and
22 then back to the spawning cycle.

23 The model was initially presented to the State Board
24 in the Phase 1 water quality hearing, and again, in the
25 water quality phase of the Bay-Delta process.

1 Now, the modeled alternatives were first the
2 Department of Fish and Game alternative. This would be
3 State Board Alternative 4.

4 Second, the joint proposal that was presented to you
5 a bit earlier by CUWA and the other agencies that are
6 joining in that, and

7 Third, the San Joaquin River Tributary Agencies
8 salmon alternative, which is shown on the overhead you are
9 looking at now.

10 The San Joaquin River Tributary Agencies' alternative
11 is two seven-day pulses, one in mid April and one in mid May.
12 The pulses total at least 1,000 cfs at Vernalis in
13 critical dry water years, 2000 cfs in dry years, 3,000 cfs in
14 below normal and above normal years, and 4,000 cfs in wet
15 years.

16 No explicit provisions dealing with fall flows or
17 exports during other times of the year were modeled.

18 In regard to exports, we have imposed a 1500 cfs
19 export limit from the 15th of April to the 15th of May. E.
20 A. modeled each alternative with and without the Old River
21 barrier, and in regard to the results which are shown on the
22 overhead now, all three alternatives indicated similar
23 three- to four-fold increases in salmon survival over the
24 base case with modeled historical flows through a ten-year,
25 1982 to 1991, period of analysis.

1 Now, I will leave that. I want to point out that you
2 cannot add up the columns and divide by ten and come up with
3 the numbers at the bottom, which is shown as the 1982-91
4 average. This is a percentage increase over the period
5 that's been modeled taking into consideration all of the
6 activity of the salmon between 1982 and '91, and it's
7 improper to just add the columns and try to average them.

8 Now, without the Old River barrier, and even with
9 pulse flows, there was a less than one-fold increase as the
10 San Joaquin smolt generally went directly to the export
11 pumps.

12 In regard to a longer period of analysis, the
13 overhead you are looking at now shows the period from 1973
14 to 1991, and in general, the three models are significantly
15 better than the base case that was modeled without the pulse
16 flows.

17 These analyses support Steve Cramer's observations
18 that short pulses are as effective as long, high sustained
19 flows in getting salmon smolts to move, and in the survival
20 and return of adult salmon, and the short pulses used
21 substantially less water to accomplish the same goal,
22 producing more salmon.

23 Also, this alternative of the San Joaquin tributary
24 alternative will most likely have the least impact on export
25 pumping.

1 Now, I would like to turn a little bit to striped
2 bass issues. The San Joaquin River Tributary Agencies
3 presented data to show that there is no reason to adopt a
4 striped bass water quality standard. This is in answer to
5 one of the questions that were posed earlier by the Board.

6 We have provided a short explanation of the reasoning
7 in the material we presented to you. We believe there is no
8 scientific basis for setting a salinity standard in the San
9 Joaquin River to allow the upstream spawning migration of
10 striped bass.

11 We believe; one, that there is no real evidence that
12 a salinity barrier to migration exists; second, even if such
13 a barrier did exist, it would not affect the production of
14 striped bass because as a broadcast spawner, they are not
15 spawning habitat limited; and third, if striped bass could
16 be induced to spawn farther upstream in the San Joaquin,
17 this would be to their detriment as it would increase the
18 potential of entrainment of the eggs and larvae in the State
19 and Federal export facilities.

20 Finally, from a policy standpoint, it seems
21 inappropriate to be setting standards to enhance an exotic
22 species that is a known threat to an endangered native
23 specie, the Sacramento winter-run chinook salmon.

24 Striped bass spawn in the same place every year,
25 between Antioch and Venice Island, regardless of the flow

1 and the salinity. There is little evidence of major
2 spawning of striped bass upstream from Venice Island.

3 Now, the graph that you are looking at here is a plot
4 of the percentage of striped bass eggs between zero and
5 eight hours old reflected in segments of the Sacramento-San
6 Joaquin Delta and Suisun Bay at different flows ranging from
7 400 cfs to 24,000 cfs, and the data are from the California
8 Department of Fish and Game. They are in your water rights
9 hearing Phase 1, Exhibit 25, CDFG, Region 4, Fresno.

10 The tabulation of those data are also included in the
11 packet of material that we provided and all of the surveys
12 show that the spawning that has taken place has taken place
13 again between Antioch and Venice Island.

14 The basis for the belief that there is a salinity
15 barrier or salinity spawning barrier rests upon inconclusive
16 evidence obtained from the 1960s from field observations of
17 the Delta striped bass distribution during the spawning
18 season.

19 Bradky and Turner sampled adult bass throughout the
20 reverse salinity gradient and found the highest numbers of
21 fish in TDS concentrations between 250 and 300 parts per
22 million. They found lower numbers of fish below both 200
23 and above 350 parts per million.

24 On the basis of these observations, they concluded
25 that 350 parts per million formed a barrier to striped bass

1 movement. This occurred in the vicinity of Venice Island
2 and we believe that such anecdotal evidence in no way proves
3 that a salinity barrier exists.

4 E. A. has extensively reviewed the literature of over
5 400 papers, and copies of the bibliography of those papers
6 have been provided to you, and they have found nothing to
7 support the contention that striped bass spawning territory
8 is limited.

9 The next graph shows all of the data that they have
10 found in regard to the striped bass spawning above Venice
11 Island, and you can see there are very meager and few data
12 showing spawning in those areas.

13 Historian Allen Patterson has reviewed the historical
14 literature and concluded the same thing, and you have a copy
15 of the conclusion of Dr. Patterson's paper and the full
16 paper is in the record of the proceedings.

17 Now, in summary, we recommend that you do not rely on
18 the Fish and Wildlife Service model as there is no
19 scientific sound basis for the relationship developed with
20 that model.

21 Dr. Speed is continuing his statistical analysis on
22 the San Joaquin smolt data and we will share whatever will
23 be developed with the Board and staff and the Fish and
24 Wildlife Service.

25 Dr. Speed will confer with Dr. Rice on the Sacramento

1 River data as appropriate.

2 Finally, we will be pleased to use the E. A. model to
3 analyze other alternatives for your staff and we will
4 sponsor another workshop on the E. A. salmon population
5 model, if that will be helpful.

6 The goal of the San Joaquin River Tributary Agencies
7 is to protect the salmon smolts, move them past the
8 agricultural and export pumps, through the Bay and out to
9 the ocean, and use only the necessary amount of water. The
10 San Joaquin River water users will do their part to help
11 increase and maintain the fishery, but they should not be
12 obligated to contribute water to either (1) dilute salinity
13 water that's been discharged into the San Joaquin River; (2)
14 provide excess flows to meet the obligations of the Central
15 Valley Project because of diversions at Friant Dam; or (3)
16 provide flows to either allow additional exports or to allow
17 the Central Valley Project or the State Water Project to
18 retain water in their reservoirs which would otherwise have
19 to be released to meet the projects' obligations in the
20 Delta.

21 Finally, in regard to the striped bass, we agree with
22 others that there is no reason to have a striped bass water
23 quality standard.

24 That concludes our remarks with the exception of
25 Steve Cramer's presentation on his data.

1 Steve.

2 MR. CAFFREY: You have about four minutes left of
3 your twenty. We have been lenient in the past, so would you
4 please do your best to stay within the period of time.

5 MR. CRAMER: I'm here today to talk about some
6 sampling that we did on the Stanislaus River in 1993. Our
7 consulting firm were fishery biologists. I was retained by
8 the Tri-Dam project, South San Joaquin Irrigation District
9 and Oakdale Irrigation District, to sample out-migrants on
10 the Stanislaus River in 1993, to evaluate the effects of
11 pulse flows that were designed in that year to move fish out
12 of the river, and so, I wanted to show you the results of
13 our sampling, and additionally, you will see in the handout
14 I provided, I am going to cover how this compared with what
15 you find on other rivers throughout the West Coast and the
16 type of response that juvenile fish would exhibit when given
17 a pulse flow.

18 This was a pulse flow pattern planned for the
19 Stanislaus River in 1993, and this is one that was actually
20 accomplished. The two major pulse flows that we evaluated
21 occurred from the end of April through May, and a second one
22 in late May that extended into June.

23 You can see that those flows started with a base flow
24 of about 250 cfs and then were moved up to 1500 cfs, so this
25 pulse is a five-fold increase in the base flow.

1 I am going to show you some data on the fish movement
2 that we actually documented. You should notice that we did
3 not start until about April 1st and the pulse flow had
4 already begun. This higher pulse back in earlier April and
5 one in late March had already occurred, so they may have
6 stimulated fish movement that we were not in the water to
7 sample.

8 Here are the actual data that we gathered on the
9 movement of fish. What you should note here is on this Y
10 axis in the out-migrant index, the line shows the pulse flow
11 and that is against the alternate Y axis over there, and at
12 the bottom we have the date.

13 The most important thing to notice about this is when
14 the pulse flow increased, the bars here show the number of
15 fish we captured. These are not actual numbers captured,
16 they are, in fact, expanded to account for the efficiency of
17 our migrant trap.

18 There is no previous data on the Stanislaus River
19 where they trapped out-migrants that we could find that
20 would be useful in evaluating how spike flows might
21 influence fish, so we were actually capturing migrants
22 moving downstream.

23 MR. CAFFREY: So, you applied a formula based on the
24 efficiency to try and make the number more accurate?

25 MR. CRAMER: Exactly. As ten percent of the flow

1 went through the mouth of our trap, we found from releasing
2 marked fish upstream that our trap captured five percent of
3 the fish. In other words, we were about half as efficient
4 as the amount of flow that actually physically went through
5 our trap, so these are adjusted.

6 The reason that that is important is because here we
7 had a sampling of 1500 cfs if you took this other point.
8 Here we sampled when the flow was down to 400 cfs, and so,
9 you had to adjust to those differences. By making that
10 adjustment, the catches were much larger at 400 cfs simply
11 because flows were lower. Actually, this catch here, this
12 one spike represents a fairly small catch but efficiency was
13 lower and you have to adjust for that.

14 At any rate, this shows one spike response in
15 juvenile out-migration when that flow went up, and then,
16 after that time the catches did not show a particular
17 response to the peak in flows. You just see that immediate
18 response and then pretty much the movement of fish goes back
19 to an as-usual situation.

20 This is actual data on the Stanislaus. That is one
21 year and that isn't particularly comforting, so you need to
22 see if that is true up and down the coast.

23 Quickly, I am going to show you an example on the
24 Rogue River. I happen to have been working with the Oregon
25 Department of Fish and Wildlife in the mid seventies

1 directing research on the Rogue, and we had one very unique
2 circumstance. For ten years, we monitored juvenile out-
3 migrants on the Rogue. Here in 1975, that is the dark line
4 you see discharge through the summer, a nice smooth curve,
5 we had a unique event in '76 which showed us something about
6 our fish response to spike flows. The natural storm event
7 caused three weeks of high flow in mid August.

8 Now, I want to show you the next curve of what
9 happens to the fish movement if you compare them in those
10 years.

11 Here you have a catch-per-hour in a trap that crosses
12 the -- that Savage Rapids Dam on the Rogue River, and as the
13 fish moved past that trap, we found this spike event on that
14 year coincident with the first week of those spike flows.

15 But for the next two weeks while the flow remained
16 far above the traditional mean flows during summer, you see
17 the migration moving back down to more normal levels and
18 continued as so throughout the year.

19 In the ten years of our study, we saw no other spike
20 flow event like this. We saw no other spike movement events
21 like this, so it's obviously triggered by that pulse flow.
22 The key is that it lasted only for a few days even though
23 the flows remain high.

24 The same is true -- we had a grand experiment on the
25 Columbia River this year, same thing, and this is an

1 artificial manipulation of the flow. This is actually up
2 the Snake River. These are catches at lower Granite Dam of
3 juvenile chinook. The dotted line here represents the flow
4 pulse. There was substantial release of stored water to
5 create this flow pulse, and what you can see is that there
6 was a couple of days of stimulated movement of juvenile
7 chinook following that pulse flow.

8 Despite the high flows, the movement ceased, or at
9 least went back down to a more normal level.

10 Interestingly, if you look out here after they
11 dropped the flows down to base level, there was still plenty
12 of chinook up there to move out and there was actually a
13 spike event of juvenile chinook movement that occurred
14 later.

15 If I plotted these flows on a different scale, you
16 would see there was a slight increase in flow there, but in
17 proportion to these high flows generated here, it doesn't
18 show because it is a small event.

19 You can't move all the chinook until they are ready.
20 There are studies that indicate there is a physiological
21 readiness that has to be reached on the part of the chinook
22 before they will respond to flow and all fish are not
23 physiologically ready to move at the same time.

24 Similarly, this is one of, I think, a 12-year data
25 set on the Yakima River, similar kind of response year after

1 year. I just pulled one of their drafts. They also show
2 similar kinds of things. The solid line represents the flow
3 and the dotted line represents the movement of fish, and we
4 can see that even though there were high flows here in
5 March, there was not a movement of fish.

6 Finally, there was a spike on the 1st of May, strong
7 movement of fish for one day and then they moved on. This
8 was repeated year after year, so it is not an unusual event.

9 I could cite other examples but our time is quite
10 brief and I don't want to take up your time doing that.

11 I would like to review with you briefly the
12 recommendations from this review of how fish respond to
13 pulse flows. In the handout that I have given you, I have
14 five recommendations that come from this and I would like to
15 emphasize these because I think there is strong potential to
16 misuse what I am saying here.

17 Number one, the migration of juvenile chinook is
18 stimulated by a rapid increase in flow, not by a sustained
19 high flow. This behavior is consistent with populations of
20 chinook throughout the West Coast.

21 Number two, only the portion of the juvenile chinook
22 that are physiologically ready to smolt will be stimulated
23 by the pulse to migrate to the ocean. Some will move a
24 slight bit. We have found the ones ready to go will
25 continue their movement all the way to the ocean.

1 Now, flow pulses spaced at intervals throughout the
2 migration season will be necessary to stimulate migration of
3 the entire population. A stimulus at one time of year will
4 only move some of the fish and only the first few days will
5 do that stimulation.

6 Number three, the magnitude of increased inflow
7 required to stimulate this migration is uncertain. We know
8 it has to be at least 20 percent, but we don't know what it
9 needs to be.

10 Number four, the duration of the pulse flow needed is
11 one to three days. Longer periods of high flow may be
12 needed to sustain that desired condition through the Delta
13 for the fish that were stimulated to have the desirable
14 conditions through the Delta; but to stimulate them to move
15 you need one to three days.

16 Then, number five, this is where I could be
17 misquoted. Please consider number five. Magnitude of
18 benefits to be gained from pulsing of flows is uncertain and
19 should be evaluated by field tests. I said that fish
20 will move, I did not say there was evidence they survived
21 better or less, just simply that if you want them to move,
22 the pulse flows cause them to move in the first few days.

23 MS. FORSTER: May I ask you a question while you are
24 there?

25 At our last hearing at the end of the day we heard a

1 very fascinating presentation by somebody that at one time
2 worked for you at the Fish and Wildlife, and I guess he was
3 with one of the groups of --

4 MR. HOWARD: Dave Vogel.

5 MS. FORSTER: He also seemed to feel that there was a
6 way to tell when the fish were going to move. If I kind of
7 remember his presentation, he felt that they moved at night,
8 that we could tell when they were going to move.

9 Do you sense from your work and some of the other
10 work that's going on out there that we are getting or we
11 will have available for us a much better understanding of
12 sort of the basic needs of these fish? I mean, is it true,
13 do you think fish move at night more than they move during
14 the day?

15 All of these things are in bits and pieces, but it
16 would be wonderful if somebody put it all together and said,
17 we have put this together and here is what they like.

18 If you could make your operations match, we would
19 have a giant success.

20 MR. CRAMER: That's an ideal that we would all aspire
21 to, and I would say there is potential to get to that point,
22 but we haven't done the experiments that will tell us
23 whether or not that is truly possible.

24 Fish do tend to move predominantly at night, but the
25 problem is that physiologically they will mature, they will

1 be ready to what we call smolt and move to the ocean at a
2 varying period over the spring and into the summer, and we
3 cannot speed that physiological process up other than to
4 provide appropriate growth conditions for the fish because
5 that physiological process is tied to their size and as they
6 reach a sufficient size and growth, they will be ready to
7 migrate.

8 Unfortunately, fish spawn over a variable time so you
9 can't get them all to that point at the same time. So, they
10 will always be dispersed in time as to when they are ready
11 to move. But certainly, it is possible to learn through
12 experimentation how we can more efficiently use the water we
13 have to get the fish to move and provide the volume of flow
14 that those fish could actually swim in as they move to the
15 Delta so they benefit from a higher flow while they are
16 moving through the Delta. That's why our proposal consisted
17 of two smaller pulse flows to take care of the smolts that
18 were ready to go at the beginning of the season, and another
19 pulse to take care of the smolts that reached maturity at
20 the end of the season.

21 MS. FORSTER: How can I understand what your
22 presentation means compared to the other alternatives that
23 have been provided -- the work that these folks have done,
24 the work EPA has done? Explain where you fit into this,
25 what you think of what they have done, what you are doing

1 that may be different. Can you just explain this for me?

2 MR. JOHNSTON: We are looking mainly at the
3 contributions that would be made from the tributaries on the
4 east side of the San Joaquin Valley. Our goal is to promote
5 the movement of the fish through the estuary to the ocean so
6 that we get some fish returning, as is the goal of all of
7 the agencies for all of the rivers.

8 We limited our contribution to that necessary to
9 promote the fisheries and tried not to provide water to meet
10 obligations that would otherwise be the projects'. We have
11 focused here on the temperature issues and pulse flow issues
12 to move the smolts, so that beyond that, I think our plan
13 would fit into any of the other alternatives that have been
14 put forth.

15 MS. FORSTER: Thanks for giving us this early so we
16 could read it. It made it easier to understand your
17 presentation.

18 MR. JOHNSTON: You are welcome.

19 MR. CAFFREY: Any other questions from the Board
20 members? Mr. Pettit? Anything from staff?

21 Gentlemen, Mr. Johnston, Mr. Godwin, Mr. Cramer,
22 thank you very much for very interesting data. We
23 appreciate your working with us. Good to see you all.

24 MR. JOHNSTON: Thank you.

25 MR. CAFFREY: Well, it is about ten after twelve, we

1 will take a lunch break now until one o'clock.

2 When we come back, we will begin with the joint
3 presentation from ACWA, and then we will follow with Mr.
4 Bobker, Mr. Fullerton, Mr. Porgans, Mr. House, and Dr. Peter
5 Moyle has submitted a card as well.

6 So those will be the presenters this afternoon.

7 (Noon recess)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 WEDNESDAY, OCTOBER 19, 1994, 1:00 P.M.

2 --oOo

3 MR. CAFFREY: All right, we will resume our workshop
4 and while Mr. Hall is getting ready for the ACWA
5 presentation, I will announce we had one change in the
6 order. After ACWA we will hear from Patrick Porgans, and
7 then go back to the regular schedule.

8 We also have two other cards that have been added,
9 from Peter Moyle and Steve Ottemoeller.

10 Good afternoon, gentlemen, welcome.

11 Mr. Hall.

12 MR. HALL: Good afternoon, Chairman and members.

13 For the record, my name is Steve Hall and I am the
14 Executive Director of the Association of California Water
15 Agencies, and I have colleagues with me, Roger Fontes of
16 Northern California Power Association; Richard McCann with
17 the Economic Consulting firm MQ, who you may recall
18 presented our economic analysis of the EPA standards; and
19 Lon House, who is ACWA's energy consultant.

20 MR. CAFFREY: I didn't realize Mr. House was a member
21 of your team here.

22 MR. HALL: I meant to mention that. We somehow
23 crossed our wires, but the bad news is we have one more
24 panelist than you talked about. The good news is you can
25 eliminate one card now.

1 MR. CAFFREY: Maybe it is all good news.

2 MR. HALL: There's a trade-off.

3 Several months ago when we presented our economic
4 analysis to you, we told you at the time that we were in the
5 process of analyzing the potential impacts to hydroelectric
6 power generation within the State of California from these
7 standards.

8 And essentially what we have been waiting for is for
9 the Department of Water Resources to finish their model runs
10 on the various proposals so that we can do our modeling
11 based on the hydroelectric computer models that exist and
12 which actually Mr. House here helped to develop, and we now
13 have the Department of Water Resources' runs and we have
14 completed our runs, so we have presented to you today a
15 written version of our report, and Mr. McCann and Mr. House
16 will summarize that later.

17 I want to begin by saying we think this is an
18 important component of the overall economic impacts that
19 need to be assessed as part of the standard-setting process.

20 A number of parties have assessed the economic
21 impacts as a result of the water shortages that will occur
22 because of these proposed standards.

23 To our knowledge, this is the only study that has
24 been done statewide of the energy impacts and we hope and
25 trust that the Board and staff will incorporate them into

1 the record and into your deliberations as you analyze the
2 benefits and the costs of the standards.

3 I would like to now turn it over to Roger Fontes, who
4 will present to you the Northern California Power
5 Association's perspective on this.

6 MR. FONTES: Thank you very much. I appreciate the
7 opportunity to speak today on behalf of NCPA and the Central
8 Valley Project Customer Tech Committee.

9 The chairman of our Policy Board and others were
10 unable to be here today. He is on last-minute business, and
11 for that reason, I am substituting for him, although I hope
12 my presentation is not too bumpy.

13 NCPA and Western Area and our customers group has
14 been working carefully and closely with ACWA in the past few
15 weeks to assess the impacts of the hydroelectric system. We
16 have concentrated on the federal system, the Central Valley
17 Project, which serves more than a million two hundred
18 thousand customers. Our results are very similar to what
19 ACWA has been finding and the reports that have been filed
20 with you today.

21 We have identified about 250 million dollars in
22 impacts over an 18-year period. That's through about the
23 year 2010, or about 20 million dollars a year.

24 We disagree with the Fish and Wildlife Service
25 conclusions regarding the cost impacts of the CVPIA and we

1 have been talking to them and communicating with them
2 directly.

3 The 20 million-dollar a year figure is something
4 that's a little difficult to relate to impacts, but I think
5 it is fair to say that these are substantial impacts -- 20
6 million dollars, about a 10 percent increase in today's
7 dollars, and that by the year 2004 could escalate to about a
8 20- percent increase just based on the standards we have
9 seen suggested to date.

10 However, that is not our biggest concern. Our
11 biggest concern is the combination of effects of the
12 standard settings that you are involved in and the
13 cumulative effects of the CVPIA and other activities on the
14 upper Sacramento River and tributaries to the Delta that
15 will cause impacts and cost real dollars.

16 There are lots of real dollar potential impacts.
17 Right now we are paying a substantial amount of money into
18 the federal treasury into the restoration fund to fund
19 improvements of fish and wildlife in the project, and we are
20 doing that because we realize it is our obligation.

21 We are concerned a little bit about the Trinity
22 River. I don't think it has been brought out here too well
23 today, although Board Member Brown mentioned it earlier.

24 Right now on the Trinity River about 340,000 acre-
25 feet is being used for fish studies on that tributary, and

1 at some of the meetings we have been in those studies have
2 been suggested to go up to about a million acre-feet of
3 water.

4 The cost impacts of that would be dramatic, many many
5 millions of dollars.

6 There are other programs I could mention. I don't
7 want to be an alarmist because we are not here today to try
8 to have you stop or delay your decision based on the
9 impacts, but simply to incorporate the considerable effects
10 we think your decision will have potentially on the
11 California electric consumers, on the prices of goods and
12 commodities that are manufactured here.

13 So, in that regard, I will close by saying we are
14 happy to work with ACWA. We appreciate the opportunity to
15 be here today and we will continue to assess the
16 alternatives that are set before you and provide you with
17 information as to our view of their impacts.

18 We hope you can find an efficient, balanced,
19 comprehensive solution while retaining some flexibility for
20 the State's hydroelectric operators.

21 And I guess, just in closing, I would say we are a
22 little concerned particularly about New Melones Reservoir on
23 the Stanislaus River, that that reservoir be allowed to
24 retain some water in it, because if it is allowed to go dry,
25 the capacity value would go to zero and the dollar impacts

1 of that would be very significant, indeed, not to mention
2 the operational aspects of losing that power source in our
3 mix.

4 So, thank you very much.

5 MR. CAFFREY: Thank you, Mr. Fontes.

6 MR. HALL: Mr. Chairman and Board members, I am going
7 to turn it quickly over to Mr. McCann and Mr. House.

8 Let me just set the stage by telling you that when we
9 looked at the hydroelectric power impacts, what we
10 essentially did was we were looking for both the costs and
11 the benefits from this change in flow regime because there
12 are some of both.

13 We looked at lost capacity to generate electric
14 power. We looked at the increased load, pumping load for
15 additional pumping of groundwater that we expect would
16 occur. We looked at the decreased load on the State and
17 Federal projects pumps because they will be pumping less
18 water, and that's a decrease in electrical consumption.

19 We looked at every factor that we could quantify. We
20 did not look at some factors that we know will increase the
21 overall impacts, so the impacts that you see stated in our
22 report, we believe, are exceedingly conservative. They do
23 not include some impacts that we are confident will occur
24 simply because we could not quantify them, and Mr. McCann
25 and Mr. House can describe those in greater detail.

1 What we found, in summary fashion, is that the
2 impacts are quite significant, that many of the estimates
3 that were done previously by the U. S. Fish and Wildlife
4 Service and by others which attributed an actual benefit in
5 electrical power production were incorrect, to put it
6 politely, and we have documented in the report as to why
7 they were incorrect.

8 We also found that some water users, some energy
9 users bear a much greater burden in terms of their
10 electrical power rates and the availability of electrical
11 power than do others, and perhaps the most striking
12 conclusion from this report is that there are a number of
13 regulatory actions pending by State and Federal agencies
14 that could make the effects of the electric power impacts of
15 this regulatory process much much worse if this process is
16 not made suitably flexible to adapt as those other
17 regulatory actions kick in.

18 So, with that brief summary, I will turn it over to
19 Mr. McCann and Mr. House, and when they have concluded, I
20 will wrap up.

21 MR. CAFFREY: Thank you, Mr. Hall.

22 MR. McCANN: I am Richard McCann with MQ. I will be
23 discussing a summary of our report, and Dr. House will be
24 available for questions on electricity planning issues at
25 the conclusion of that.

1 I want to begin with talking about the issues that we
2 addressed in this study. We looked at the impacts on the
3 hydroelectric system in Northern California. Specifically,
4 we focused mostly on the Central Valley Project because
5 that's where the largest amount of impacts are.

6 We looked at how the changes in the hydro systems
7 operations would affect non-hydro resources which is
8 basically thermal-generating plants that are operated by
9 PG&E and other utilities.

10 We looked at how project pumping would change and how
11 this would affect the loads faced by the electrical
12 utilities in California.

13 We looked at how groundwater pumping would change
14 given the decreases, the expected decreases in water
15 delivery.

16 We also looked at the impact of how air pollution
17 emissions would change given the expected increases in
18 generation from thermal-generating plants. It's a very
19 prevalent problem in California.

20 And finally, we looked at the total economic costs or
21 benefits from the policy alternatives in comparison to the
22 base case given this range of impacts.

23 In doing the analysis we relied on electricity
24 planning guidelines that have been adopted by the California
25 Energy Commission and the Public Utilities Commission. In

1 this way, we have tried to limit any types of controversy
2 that might occur in our study by relying on values that have
3 been adopted elsewhere by other regulatory agencies.

4 We also relied on water planning models to the extent
5 possible that were used by the Department of Water
6 Resources, the Bureau of Reclamation, and EPA in studying
7 these changes in hydrological flows; and finally, we tried
8 to rely on conservative assumptions about how the water
9 policies would impact electricity use.

10 Where we cannot quantify the impacts, we didn't
11 attempt to come up with some sort of fudge factor or other
12 type of device which might be used to adjust the costs.

13 We then discussed the methods that we used. In
14 looking at the Central Valley Project hydropower impacts, we
15 used the output from the PROSIM and DWRSIM models which have
16 been discussed extensively here before you.

17 In looking at the pumping needs for the projects, we
18 again used the output from the DWRSIM and PROSIM models.

19 In looking at the changes in groundwater pumping,
20 basically what we did was analyze the historic PG&E load
21 data over the 1970 to 1992 time period and looked at how
22 changes in water diversions and water conditions affected
23 groundwater pumping and assumed that that would occur in the
24 future as well, and then, our results were also confirmed by
25 the input that EPA is using in its own agricultural model.

1 Our results were very similar to EPA results.

2 We then used this information and put it into an
3 electricity production cost model called ELFIN, a model used
4 by the Energy Commission and Public Utilities Commission on
5 evaluating electricity-generating costs.

6 For a particular utility we used the PG&E system and
7 we relied on ER 94, Electricity Report 94 for assumptions
8 being worked on over at the Energy Commission right now to
9 the extent possible.

10 Then, from ELFIN we also got air quality impacts as a
11 result of these model runs and we were able to use air
12 quality impact values that have also been adopted recently
13 by the Energy Commission.

14 And finally, we did side calculations on how much the
15 capacity requirements would be that would be created by
16 these changes in policy alternatives. Our capacity
17 additions with the PG&E coming from the agricultural water
18 pumping in the PG&E service territory, those values coming
19 from values adopted by the Public Utilities Commission.

20 The capacity values or the capacity additions needed
21 on the Central Valley Project system, those values come from
22 values calculated by Western, who is the marketing agent for
23 the Central Valley Project power.

24 We then looked at three policy alternatives evaluated
25 against the base condition, the base case being D-1485

1 conditions as specified in the memo, the August 18 memo sent
2 by Tom Howard to the Department of Water Resources.

3 We then looked at Alternatives 1, 2 and 3, as
4 specified in that memo; Alternative 1 being the EPA
5 proposal, Alternative 2 being the Board staff proposal at
6 the time, and Alternative 3 being the California Urban Water
7 Agency proposal at that time.

8 We basically focused on those alternatives because
9 those were the runs that were available from DWR at the time
10 in running PROSIM. They had some difficulty in running some
11 of the alternatives.

12 We also looked at a weighted cost average across
13 water conditions so that we didn't pick just, for example, a
14 single average year and calculate the costs for that. We
15 looked at how costs would change with dry-year conditions,
16 wet-year conditions, and average-year conditions, and then
17 calculated what the expected average would be over the time
18 horizon to the year 2010.

19 We can then look at what are the costs that are
20 associated with these various alternatives.

21 Under Alternative 1, the costs are about 41 million
22 dollars a year, or 365 million dollars net present value
23 over the 16-year time pricing we looked at.

24 For the water community it might be easier in terms
25 of cost per acre-foot of water diverted, and that works out

1 to about \$84 per acre-foot.

2 In Alternative 2, the cost, the annualized cost is
3 about 46 million dollars a year or about \$412 million
4 dollars net present value over the time horizon, and that's
5 about \$72 per acre-foot.

6 And finally, under Alternative 3, again the cost is
7 about 46 million dollars a year, 412 million dollars net
8 present value, and the annualized cost per acre-foot goes up
9 to \$82, which is specifically because there is less water
10 loss in that case.

11 MR. STUBCHAER: Dollars per acre-foot diverted from
12 where, from the Delta or from the system?

13 MR. McCANN: From the system, so that's reduced
14 deliveries on the projects.

15 We used project deliveries as defined --

16 MR. STUBCHAER: But not non-project deliveries?

17 MR. McCANN: Right. We did not look at losses in
18 non-project deliveries.

19 So, at the conclusion of our report, we had several
20 findings and recommendations to be presented to the Board.

21 The first finding, to emphasize Mr. Fontes'
22 statement, is that our analysis demonstrated that there are
23 costs associated with past and proposed standards and not
24 benefits to the electric utility system.

25 This differs from two other previous studies done by

1 federal agencies which showed benefits, one being the
2 winter-run salmon study, the second being a recent release
3 by the Fish and Wildlife Service on the environmental
4 assessment.

5 We have a discussion in our report on problems with
6 the winter-run salmon study. The Fish and Wildlife Service
7 study has many of the same problems.

8 Second, the net present value costs of these impacts
9 are up to one-half billion dollars. These are real
10 significant costs that should be considered by the Board in
11 its choosing among various policy alternatives.

12 Third, the cost impacts are not spread uniformly
13 among the State's consumers. Basically, this means that you
14 can't just take this number and divide by the number of
15 ratepayers in the PG&E service territory or across all the
16 citizens of the state. These costs are concentrated among
17 various groups within Northern California.

18 Most of the Central Valley Project hydropower impacts
19 are concentrated among the municipal utility users. Most of
20 the water pumping costs are concentrated among the
21 agricultural community. The air quality impacts are
22 concentrated among the residents who live around PG&E's
23 thermal-generating units.

24 So, you must consider the distribution of these costs
25 when making a policy decision.

1 Fourth, the assumptions that we use are conservative.
2 In general, the cost to the electricity system could be
3 significantly greater than the ones reported here. For
4 example, we believe that our assessment of groundwater
5 pumping increases are on the low side in large part because
6 the increases in groundwater pumping attributable to the
7 NMFS opinions are substantially larger than what would occur
8 under the water losses that we have seen in terms of water
9 deliveries, that there is a much more groundwater pumping
10 increase than we expected.

11 Also, we have not looked at the impacts on the
12 hydropower system on the Merced and Tuolumne Rivers in large
13 part because of the uncertainty about being able to meet the
14 Vernalis standards with New Melones releases, and there are
15 some problems or some anomalies that we found in looking at
16 the PROSIM output in terms of releases down the San Joaquin
17 River. There seems to be substantial releases from other
18 rivers.

19 We did not look at how PG&E's fossil fuel plants that
20 take water from the Suisun Bay, how their operations may be
21 changed by these standards, and we also did not look at the
22 impacts on the State Water Project power system as well,
23 because of the complexity of its linkages to Southern
24 California Edison.

25 The contractual relations to be able to trace through

1 that was a bit more than what we wanted to pursue given the
2 complexities of that problem.

3 Point 5, getting back to this issue of the releases
4 on the San Joaquin River, we found that it appears from the
5 PROSIM runs that there are large releases required from
6 other projects, non-Federal, non-State projects in order to
7 meet the standard at Vernalis and we believe that this issue
8 should be explored further by the Board.

9 Point 6 is that there are other environmental
10 mitigation planning processes currently under way and Mr.
11 Fontes talks about the Trinity River. Of course, there is
12 the San Joaquin River management program, the Central Valley
13 Project Improvement Act, of course, and other Endangered
14 Species Act reviews going on, as well as other activities.

15 If these processes lead to additive rather than
16 concurrent requirements, the cost impacts could be
17 significantly greater than reported here.

18 And finally, we believe that the uncertainty about
19 the scientific basis, the economic effects, and the likely
20 resolution of these and many other issues point to the need
21 for an adaptive management approach to the Bay-Delta water
22 quality issues.

23 We believe that the Board should establish a
24 procedure to update the standards, that the new information
25 and events warrant action so the Board should be in a

1 position to be flexible about the standards it sets and
2 think of a process of how to adapt those standards as these
3 effects occur.

4 I would like to thank you for your time and we are
5 open to questions.

6 MR. CAFFREY: Thank you very much, Mr. McCann.

7 MR. HALL: I have a wrap-up comment, but I will pause
8 here and let you ask any questions because I do not in any
9 way wish to convey the impression that if you have
10 questions, I am able to answer them.

11 Mr. McCann and Dr. House are.

12 MR. CAFFREY: Mr. Stubchaer.

13 MR. STUBCHAER: What interest rates did you use in
14 determining net present value?

15 MR. McCANN: We used a nominal rate of 11 percent,
16 real rate of 7 percent based on a memo by the Office of
17 Management and Budget, and we have a footnote that discusses
18 that circular. It is referenced twice in the report. You
19 will find it in the footnote, I think.

20 I would have to look for it, but it is in there.

21 MR. STUBCHAER: So, if you had used the lower
22 interest rate -- actually, it's a difference in interest
23 rates --

24 MR. McCANN: Right. If we used the lower interest
25 rate, the impacts would go up. In fact, there's enough

1 information in this report to recalculate the net present
2 value impacts using a different interest rate.

3 MR. CAFFREY: You can be sure he will try that.

4 Anything else from the Board? Mr. Pettit or staff?

5 MR. HOWARD: Could you briefly describe what the
6 error, what the difference in opinion is regarding the
7 analysis done by the National Marine Fisheries Service and
8 the U. S. Fish and Wildlife Service?

9 As I understand your statement, they estimated there
10 was a net economic benefit to these types of standards, and
11 you are going exactly in the opposite direction.

12 MR. McCANN: Right. We discuss that. There's two
13 places that we discuss the problem. In Appendix G of our
14 report is where we discuss the problem with the winter
15 salmon run, critical habitat designation study that was done
16 in 1991.

17 Basically, we had five points that were particular
18 problems. Just taking some of the highlights, the first
19 problem they have is that the value at the energy output
20 from the projects is at the same rate around the entire year
21 and, in fact, that's not a correct way of doing that.

22 The value of energy produced by the project varies by
23 season and it varies by time of day.

24 So, if you have a power output which is flat or made
25 more flat around the entire year, you are not able to shape

1 that energy into the highest value period of time. They did
2 not account for that loss of flexibility in the operation of
3 the system.

4 Also, the critical habitat study did not look at the
5 large impacts that occurred in drought years, that there are
6 very large losses of output from the Central Valley Project
7 in drought years in their runs. They did not adjust their
8 study for that loss of power in those particular years.

9 They also treated capacity incorrectly. They failed
10 to look at the fact that capacity is valued at the time when
11 peak demand is highest, which is the month of July.

12 Unfortunately, they did not present enough
13 information in this study to be able to calculate what the
14 right capacity valuation was, but what they ended up doing
15 was just taking an average through the entire year, and so
16 what happened is higher capacity value in the winter, the
17 false sense there was an increase in available capacity.

18 And then, finally, they missed groundwater pumping
19 entirely. They did not account for increases in groundwater
20 pumping from reduced deliveries at all in their study.

21 There's an additional problem in the Fish and
22 Wildlife Service. They, basically -- I try not to use this
23 word too pejoratively, but they basically steal from the
24 future. They assume a discount rate of 100 percent. They
25 say that we will take 800,000 acre-feet from the future and

1 use it today and it will have no cost, and that's, I guess,
2 as close a definition of stealing as you can get. And
3 that's the major problem in this study.

4 MR. HOUSE: If you look in the blue document you
5 have, if you look at Figures 1 and 2, those will show part
6 of the problems that they have, this study has.

7 Figure 1 shows you the low profile on the peak summer
8 and peak winter supply for the Northern California system.
9 Capacity is only valued in the very peak period of time
10 during the summer, so if you have extra capacity at
11 virtually all other times of the year, it is not worth
12 anything to the system.

13 And then, the bottom figure shows the actual recorded
14 incremental cost from the PG&E system and you can see if you
15 use an average throughout the year and you are able to shift
16 water from summer to winter for different types of days, you
17 are going to be getting an answer that would be incorrect.

18 MR. HOWARD: The Board might adopt standards that are
19 not exactly the same as Alternatives 1, 2 or 3, obviously.

20 What is the advisability of interpolating or
21 extrapolating these results to some alternative water supply
22 impact under some new alternative the Board might adopt; in
23 other words, trying to use this study directly without
24 having to go back for new model runs?

25 MR. McCANN: Unfortunately, this system, as we

1 analysts call it, is non-linear. If you have an annual
2 change, it may be approximately the same, but if the
3 distribution of water is very different within the year, you
4 can get very big changes in the cost of the system.

5 So, there's some difficulty in interpolating from the
6 results. It depends on how much different the other
7 proposals are from the alternative that we evaluated.

8 MR. HOWARD: Thank you.

9 MR. FONTES: I agree with that and the point would be
10 that as you further refine your alternative, our goal and
11 our commitment would be to continue to work with you and to
12 do additional computer analysis, if we have to, to refine
13 the numbers as you get closer to the alternatives that you
14 are looking at.

15 MR. HALL: I just want to echo that. I asked the
16 same question early in the process of our consultants to
17 save both time and money, and got essentially the same
18 answer.

19 But I can assure you that we would be willing to
20 partner with the Board in some fashion, an appropriate
21 fashion, in order to get you the information that you need
22 as to what the hydroelectric impacts would be from any
23 alternative that the Board might propose.

24 MR. CAFFREY: We're going to ask you to leave your
25 home telephone number in our economics unit for two o'clock

1 in the morning phone calls.

2 We appreciate that. That is a good question. We
3 will have to deal with that if we come up with a
4 hydrological alternative.

5 MR. HOUSE: The one thing that we haven't mentioned,
6 if you look in Appendix F, there are in addition to the
7 year-by-year production cost values or electricity values,
8 there is year-by-year emissions from the criteria pollutants
9 for Northern California, and we didn't mention that earlier,
10 but this shows you the net increase in pollution for these
11 five various pollutants due to the change in water flows in
12 the system.

13 MR. CAFFREY: That's F3?

14 MR. HOUSE: F1 is for the EPA case, F4 is for the
15 staff case, and F5 is for the CUWA case. For each of the
16 cases you have an emissions and a utility simulation table.

17 MR. CAFFREY: Thank you. Any other questions of
18 these gentlemen?

19 MR. HALL: Let me just wrap up. The reason I asked
20 for the opportunity to wrap us is so I can comment on the
21 point that Mr. Pettit made earlier, that you asked
22 participants to respond to, if possible.

23 I would like to do that by simply saying that what we
24 have presented to you today what we think is a very good
25 picture of the hydro impacts.

1 You may note that the CUWA proposal, which we support
2 -- or at least the combined proposal that was presented
3 today, actually costs a bit more in hydro impacts than the
4 EPA proposal. I just want to say that for the record we
5 were not afraid to bring that into a public forum.

6 But beyond that, what we are saying today is there is
7 another component of impact that nobody has assessed up
8 until now. We think it ought to be added into the record.
9 It is simply something additional to be considered.

10 What I have been impressed with throughout these
11 proceedings is the apparent understanding and appreciation
12 by the Board that every proposed action you take is going to
13 have some very significant impacts, that we are reducing our
14 water supply at the same time the demand across the state is
15 increasing, that as was pointed out earlier today by one of
16 the Board members, the costs of replacing these lost water
17 supplies and energy supplies are enormous and extremely
18 uncertain.

19 We simply don't know where we are going to get the
20 water or the power to replace what we are losing.

21 We talked, and others have talked about the fact that
22 we have not just this proceeding, but a number of other
23 proceedings, some of which are concluding, others are just
24 getting started.

25 We mentioned the Trinity restoration, San Joaquin

1 restoration, and there are a number of FERC licensing
2 proceedings going on on individual streams. Laura King
3 talked about theirs, but there are others.

4 Even the Mono Lake decision by the Board earlier, and
5 certainly the Central Valley Project Improvement Act, the
6 cumulative impacts of those things are going to be quite
7 large.

8 We know that we don't know what it is. We just know
9 it is going to be very large both for water and for power,
10 so when we talk to the Board about an adaptive management
11 approach in the plan that the Board adopts, what we are
12 really asking for is that as the Board moves forward, to the
13 extent you possibly can, you build into your plan the
14 ability to adapt to changing conditions, both if the fish
15 recover and if these other regulatory regulations appear to
16 overlap what the Board does, we think that's as vital an
17 ingredient in whatever you do as anything you can do.

18 And in closing, I would just like to echo what Greg
19 Gartrell said earlier.

20 The water community has put forward a proposal that
21 we feel strongly about, that it is biologically very
22 credible, that it does minimize the water impacts where
23 possible while still protecting and enhancing the resource,
24 and we are essentially doing this in order to avoid what we
25 have today, which is piecemeal regulation.

1 We hope that the Board will, to the extent that you
2 can, fold all this together into a proposal that is
3 supportable but is also comprehensive enough to provide the
4 shelf life that we all talk about and that we must have.

5 With that, I will close. Thank you.

6 MR. CAFFREY: I think I can say for the entire Board
7 your point is well taken about the regulatory efficiency as
8 we provide these protections among all the regulatory
9 agencies. Working together is very important in trying to
10 fashion a plan that has some efficiency to it, and that we
11 all understand and can live by is very important.

12 All right, gentlemen, thank you very much for your
13 presentation. We appreciate it and will take it to heart.

14 Patrick Porgans.

15 MR. PORGANS: Thank you, Mr. Chairman and members of
16 the Board.

17 My name is Patrick Porgans. I am an independent
18 government regulatory specialist. Today I am here as a
19 member of the public and I want to point out that I am a
20 government regulatory specialist and I like that concept,
21 you know, sort of coordinating all of this regulatory
22 process in a way that is compatible with the best interests
23 of everybody. I appreciate that. Good luck.

24 My point here today and before I get into it, I am
25 following up on my presentation I made on September 1, first

1 on the fall-back alternative option in the event options 1,
2 2 or 3 don't happen. You know, it's always possible.

3 And as far as those students go, I hope that their
4 graduation is not contingent upon these regulations being
5 appropriate.

6 MR. CAFFREY: Probably not.

7 MR. PORGANS: Okay, I want to comment briefly on some
8 of the things that were mentioned earlier.

9 First of all, we hear we are moving toward consensus.
10 I have heard that before. That's another one where I say,
11 good luck. Nothing has been finalized. Water reductions
12 have had an impact on the agricultural sector, water
13 reductions have had an impact on hydroelectric.

14 Let's think on the positive side. Look at all the
15 money they have made in years past from using the publicly-
16 owned resources to generate electricity and to irrigate arid
17 land in the desert. I mean, just in the State Water Project
18 service area alone in the first 21 or 22 years, they
19 generated 6.6 billion dollars in gross agricultural
20 revenues. They only paid about 6 million dollars in actual
21 cost for water, which averaged out to less than \$30 an acre-
22 foot.

23 So, all these years they have been the major
24 recipient of this water and things have been built more or
25 less on the optimum condition.

1 I have always said we need flexibility. I have been
2 talking comprehensive water planning since I can't remember
3 how long ago. I lost track.

4 I am a little concerned about these words *flexibility*
5 and *less restrictions*. Now, if I was an engineer, which I
6 am not, I don't think I could operate the State Water
7 Project and the Central Valley Project with more flexibility
8 than they did in 1987 through 1990. I mean, there is just
9 no way.

10 Now, based on their own data, they took as much as 80
11 percent of the water going into the Delta in some months.
12 It was extracted for in-channel or Delta exports.

13 So, I am concerned if we have less restrictions, more
14 flexibility, that it's going to invite the possibility or
15 probability of more failures in the system or violations of
16 standards, compounded problems with the aquatic resources,
17 et cetera.

18 I want everybody to know that I am a money man. I am
19 tracking money. So, when I hear people talk about how the
20 Wall Street and big boys are concerned, I have sent Wall
21 Street copies of my reports over the years. I have told
22 them for decades that this problem was coming. This is
23 nothing new.

24 Now, I want to point out that in 1982 we knew that
25 Kern County would have problems paying their water bills

1 because the real cost of those water bills were deferred
2 right up until sometime in the 1980s and we pointed out that
3 there wouldn't be enough water in the system.

4 For somebody to come to this Board and say, we didn't
5 realize and we didn't know there would be these cutbacks, I
6 refer them back to the California Water Plan. I refer them
7 back to Bulletin 200, DWR, and refer them to the Bulletin
8 132 series.

9 The depletions in the Delta pool were acknowledged in
10 1950. The problems associated with the amount of water
11 these projects had received and the problems they have
12 experienced today were all documented.

13 Now, what I am suggesting is that you can't have it
14 both ways. It is not going to work. We have to have some
15 reductions and we are going to have some redistribution of
16 water.

17 And in my report, and I am one of those guys that
18 work until 2:30 in the morning every morning, and in my
19 report that I gave you guys a copy of, I gave you the basic
20 foundation of why the problems that the projects are
21 experiencing now, what was the basis for those problems, and
22 I also give you solutions to remedy some of those problems,
23 and one of the issues I talk about is the flexible yield
24 concept.

25 Now, getting back to my presentation that I made on

1 September 1, at that time, I was raising questions about
2 whether in fact, you know, in my mind -- and I am not a
3 lawyer, thank God -- in my mind I see that the Board has the
4 authority to go forward and adopt standards and apply them
5 to the Central Valley Project and the State Water Project.

6 I don't see any problem there. They are under a
7 mandate to protect and provide, even under the terms and
8 conditions of their permits, to provide the level of
9 protection that this Board requires.

10 So, the issue and the alternative I am raising today
11 has to do with how do we get the upstream diverters to
12 provide water to meet whatever the standards will be in the
13 future. I think that's a valid concern.

14 However, I should preface that by saying I don't feel
15 we have to wait for the upstream diverters to come on line
16 to meet these standards or provide water. We can go forward
17 and attach standards to both the Central Valley Project and
18 the State Water Project. If you want me to sit in on this,
19 I can have it done before December 15.

20 The way I suggest that we do this is under the Delta
21 pooling concept, the projects were not supposed to take any
22 water that the counties in the areas of origin would need,
23 that under the provisions of the Burns-Porter Act, it allows
24 for

25 -- under the offset provisions in the Burns-Porter Act, a

1 certain amount of money has been set aside to provide for
2 facilities to augment any water depletions from the project
3 that was attributed to counties and areas of origin demands.

4 Now, I suggest that what we could do is -- because,
5 you know, the guys down in the valley, they have got a
6 sweetheart deal, I don't care what anybody tells me. I am
7 not an economist, thank God for that, too.

8 You notice I am not being discriminatory today.

9 The guys down in the valley have this long-term
10 extended repayment period, so what we can do, there's 160
11 million dollars still set aside on those offset bonds. They
12 are still sitting there in the original bond appropriation,
13 1.75 billion dollars back in 1960, and perhaps we can devise
14 a way that they could buy water legally from the State Water
15 Project under the provisions of the enabling legislation,
16 which would mean that there would be a reduction in water
17 available to the project, but that water, in part, would be
18 made up to meet the outflow requirements set by the Board to
19 meet the standards.

20 Does that make sense?

21 I have it all written down.

22 So, what I am saying is at this particular point in
23 time -- I'm not the type of person that has a lot of faith
24 in framework agreements because I feel the agreement has no
25 enforcement provisions and, quite frankly, it is just

1 another one of those things where it may or may not happen.

2 The bottom line is I can sit here another 20 years
3 and listen to all of this diatribe -- excuse me, I don't
4 mean anybody personally -- and in the end we come up with a
5 standard that is flexible and more reasonable. I ask, who
6 is going to enforce it?

7 So, we may even go through this whole entire process,
8 we may get to the end of the line, and then I am in a
9 dilemma because I have to come back and I don't know if it
10 sounds like I have nothing else to do -- my wife's got a
11 *honey do list* that won't quit. That's the only reason I am
12 here.

13 So, my point is that I believe that we can provide a
14 little more flexibility in meeting the actual requirements
15 of whatever standard is set by going back and re-examining
16 that Delta pooling concept and possibly allocating portions
17 of those funds that have been set aside for the purpose of
18 providing water for the counties in areas of origin to meet
19 the standards that this Board sets in the future.

20 That's one option that's available. I believe it is
21 a valid one.

22 In addition to that, I have provided about five other
23 viable options in the report on the State Water Project
24 which this Board has. I have also sent 100 copies of that
25 report south and all of the water contractors have copies of

1 it.

2 In closing, I had asked several questions in my
3 September 1 letter, and I realize that the Board is kind of
4 busy and I know Tom is busy over there, and it is hard for
5 him to get everything upstairs to you, and hard for me in
6 getting to Tom. I suggest that you read my two-page
7 request, and I provided some basis for the proposal I am
8 making to see whether, in fact, there is validity to it and
9 to determine whether, in fact, we can use some of those
10 suggestions to help to resolve this problem to the mutual
11 benefit of the lawyers, engineers and people like me.

12 MR. CAFFREY: And the economists.

13 MR. PORGANS: And the economists. Thank you for
14 bringing them in.

15 I appreciate your time and are there any questions?

16 MR. CAFFREY: Thank you, Mr. Porgans, always nice to
17 see you. We appreciate your skepticism, but we like to
18 think you have a little hope at this time.

19 MR. PORGANS: That is your second most optimistic
20 statement today. Thank you.

21 MR. CAFFREY: Thank you.

22 Gary Bobker and David Fullerton representing the Bay
23 Institute, the National Heritage Institute and the
24 Environmental Defense Fund.

25 Good afternoon, gentlemen, welcome.

1 MR. BOBKER: Good afternoon. I always feel like a
2 bland speaker whenever I follow Patrick Porgans.

3 I want to make a few brief remarks and then David is
4 going to follow up.

5 I am Gary Bobker from the Bay Institute and my
6 remarks today are on behalf of the National Heritage
7 Institute, the Environmental Defense Fund and the Bay
8 Institute. The Environmental Defense Fund
9 representatives were unable to be here today.

10 And what I want to touch on very briefly, first of
11 all, is the consensus effort that you have been hearing
12 about. I would like to talk about where consensus is and
13 where it isn't.

14 I think that the singlemost encouraging development
15 in this year concerning development of new improved water
16 quality standards has been the high degree of consensus over
17 the so-called X2 standards, the Suisun Bay estuary habitat
18 criteria.

19 We are very encouraged by the amount of agreement
20 that exists on that standard. We think that the amount of
21 disagreement that exists is relatively minor. We have
22 entered into the record our comments about some of the
23 improvements that we think the standard needs. Essentially
24 we are talking about either levels of protection or levels
25 of water supply impacts. We are really not in the realm of

1 major differences.

2 Part of the reason that we got so far on the
3 estuarine habitat criteria is that it truly did come out of
4 an exchange of views and consensus among very different
5 parties.

6 During the spring and summer environmental groups
7 spent a lot of time negotiating both on the policy and
8 technical level with urban water groups. There was a lot of
9 exchange between both urban and agricultural groups. There
10 were meetings between environmental and agricultural groups
11 as well.

12 We sponsored a series of technical workshops where
13 agency personnel were participants and that, I think, was
14 major as far as improvements in the estuarine habitat and in
15 the understanding and acceptance of the estuarine habitat
16 criteria, as well as improvements in many other criteria.

17 I don't think that's quite been the case with some of
18 the other areas that are the subject of consensus
19 activities.

20 We are concerned that there's not been the same
21 exchange of views among all the parties as there was
22 previously in that we seem to be developing in different
23 directions.

24 We have an urban and agricultural water use proposal.
25 We have agencies on their own and we have environmentalists

1 looking at some other alternatives, and we don't seem to be
2 exploring the same ground as much as we were. We are
3 concerned with the way the process is going.

4 We are also concerned that as a result of the lack of
5 exchange of some of those views, there are some severe
6 deficiencies in some of the proposals that are before you.
7 The most notable, and I am not going into every detail of
8 disagreement, I want to single out maybe three or four major
9 issues -- most notably the issue of export limits,
10 particularly for fall run chinook salmon on the San Joaquin
11 River and for spring run salmon on the Sacramento, and then,
12 the issue of protection for Suisun Marsh.

13 On the issue of export limits, the water user
14 proposal that you heard described earlier relies heavily on
15 the use of export-import rate of inflow ratios, a percentage
16 which goes from 35 to 65 percent depending on the time of
17 the year.

18 We have a concern that using that kind of inflow
19 ratio is a little too simplistic. It doesn't really reflect
20 the complex relationship that exists between export and
21 their impacts on biological resources; and because they are
22 not linked really to any kind of level of biological
23 protection or biological value, it is very hard to use them
24 to say we are getting adequate protection for the estuary.

25 We know that they have been used at least for part of

1 the year to suggest that at least you can have a cap on
2 exports. They serve as a de facto cap to kind of keep
3 things in place under the percentage taken.

4 The Fish and Game Department has raised the issue, I
5 believe previously, about whether that is accurate or not.

6 The Board needs to take a look at that, but more
7 importantly, it needs to tackle the issue of what kind of
8 export constraints are really protective.

9 We do know that entrainment effects are highly
10 correlated to absolute real export levels, and that's why in
11 the past we have generally concentrated on the combination
12 on both habitat, flow salinity improvements and absolute
13 export constraints, and have, in fact, continually
14 recommended those.

15 There are perhaps some better directions we can go
16 and David is going to talk a little bit about that.

17 The major thing here is we rely on simplistic
18 relationships which aren't biologically founded, and we
19 really don't have much confidence that we are going to see
20 the improvements we need to see, especially in the
21 entrainment effects.

22 We also have very little ability to tinker with those
23 kinds of export controls because they don't have a real
24 solid biological base -- how you decide whether to raise or
25 lower the percentage, which is the suggestion of the urban

1 and agricultural water users that they use by monitoring to
2 adjust those percentages.

3 I am not sure that's the best way to go.

4 The second issue involving protections for salmon; we
5 are concerned that the kind of flow levels that we
6 recommended and export controls are not going to be
7 effective enough for salmon.

8 We are going to need to see major increases of
9 historical levels because historical flow levels have been
10 so low and we need to put more than a little more water in
11 the system if you want to see recovery and stabilization of
12 those populations.

13 There also seems to be a wide range of agreement
14 among fishery biologists that you need to have absolute
15 export constraints in place at least in the April/May period
16 that is so critical.

17 In terms of the Sacramento side, obviously, there's
18 some major concerns about the spring-run salmon and
19 environmental groups have given you some evidence and
20 recommendations on what's needed to protect the spring run.

21 There seems to be general agreement again among many
22 of the fishery biologists and agencies that extending the
23 type of protections that have been designed for the fall-run
24 and spring-run fish, specifically closure of the Delta cross
25 channel gate earlier in the season, starting in November,

1 and increase in flows in the Sacramento River.

2 Finally, the one issue I want to be sure I highlight
3 is the Suisun Marsh issue. We have talked for many years
4 about the lack of protection for the brackish tidal marshes.
5 There is now a movement to do something about that.

6 EPA has a criterion which we hope will eventually be
7 the basis for development of numeric criteria.

8 It is disappointing to see suggestions being made to
9 go in the opposite direction with the adoption of the Suisun
10 Marsh Preservation Agreement which allows for deficiency
11 standards. It really is the wrong way to go.

12 I also note that this Board directed DWR and other
13 agencies to prepare a biological assessment. That has not
14 been completed yet and it is unclear right now even with new
15 standards about whether the SMPA would be controlling in
16 certain times of the year, even with increased flows and
17 decreased salinity in the springtime. The SMPA has not been
18 completed yet and it is unclear right now even with new
19 standards whether SMPA would be controlling at certain times
20 of the year even with increased flows and decreased
21 salinity. The SMPA deficiency standards may have some
22 negative impacts in the fall. We don't know.

23 I think that we need to start looking in new
24 directions instead of looking at the SMPA and D-1485. We
25 need to assess what it is going to take to develop hard and

1 fast criteria, quantitative criteria, to protect the tidal
2 marshes.

3 The bottom line in all of this, I think, brings up a
4 lot of things that obviously would be good to increase
5 protection of the system. They also, obviously, would cost
6 a lot of water and there is a couple of points I want to
7 make based on the fact that, yes, it would cost a lot of
8 water to do all these things.

9 One is that increasing environmental protection
10 dramatically may not necessarily have to have all those
11 water supply impacts.

12 We saw in the evolution of the EPA standards that
13 some major changes in the implementation and compliance
14 mechanisms really made a difference, and one of the things
15 that we are looking at is getting away from using absolute
16 export constraints and looking at maybe some export
17 constraints which, while based on the need to control those
18 entrainment effects, and based on the understanding we have
19 about the levels of export and what they do to biological
20 resources are much more sensitive to natural conditions that
21 are occurring, natural hydrologic conditions, and that's
22 specifically what Dave is going to talk about.

23 The other point is that 1 million or 1.1 million or
24 1.2 million is not necessarily the magic panacea number. In
25 the September 1 workshop, Ms. Forster referred to the magic

1 block of water to solve all the problems. What we are
2 hearing is that these blocks of water are not going to solve
3 every single problem and what you really want is certainty
4 and shelf life, and you want to avert the potential of
5 future endangered species listings.

6 Maybe you can't solve all the problems, but there are
7 stronger measures, I think, that are in some of the
8 consensus proposals.

9 And that concludes all I want to say and David is
10 going to add some remarks along some new directions for
11 export criteria.

12 MR. CAFFREY: Thank you, Gary.

13 Shall we wait until we hear from David Fullerton
14 before we ask questions?

15 MS. FORSTER: When you say stronger measures in your
16 closing statement, you mean more water? Is that what you
17 mean or do you mean some of the other things that have been
18 raised by the urban and --

19 MR. BOBKER: In the joint water proposal Category 3
20 type of things -- I mean both. Obviously, I think that we
21 are; one, with the water users, that there are a number of
22 different measures that need to be undertaken that are
23 related to the problem, that are related to flow, related to
24 control of toxins, related to habitat restoration, and these
25 are important to restoring the system.

1 The two caveats that I want to raise are that; number
2 one, that doesn't mean that the exact amount of water that
3 is being referred to as their proposal as opposed to ours is
4 the major one.

5 Based on some of the knowledge we have of the need of
6 different species, you may need to use more water.

7 The second point I want to make is that you need to
8 do these together. One isn't a substitute for the other. I
9 believe there may be some habitat improvements or other
10 measures you can take which might reduce the need to adjust
11 flow requirements, but that's highly conjectural. We don't
12 know either.

13 I think we need to know a lot more about the
14 interworking of the system before you can make those types
15 of solutions.

16 MR. CAFFREY: Thank you, Gary.

17 Good afternoon, David.

18 MR. FULLERTON: I am David Fullerton with the
19 National Heritage Institute.

20 I have a few additional comments to make beyond what
21 Gary said, actually following up on what Gary said.

22 Primarily, I am talking about the issue of export
23 control which in many ways is the crux of this whole thing.
24 On the one hand, exports are a major part of this balancing,
25 which is how much water are the people south of the Delta

1 able to take? At the same time, exports are a major cause
2 of the declines in the Delta.

3 So, having the right pattern and controlling of
4 exports is very important, both for protecting the
5 environment and to assure minimal impacts of that
6 protection.

7 From our point of view, I think the surest protection
8 would be some form of absolute control of the exports.
9 That's what I have seen in the past. We can only pump X
10 amount for April or May or June. That let's us know exactly
11 what we are getting from your point of view.

12 I think the other side is what we are seeing on the
13 CUWA proposal, which is essentially a guaranteed amount of
14 export. They are not going to get less than 30 percent or
15 60 percent as long as they have a place to put that water.

16 I think that both of these are probably suboptimal in
17 the sense of really trying to fine tune and manage the
18 system. Optimization of your export patterns really means
19 doing something like what we did with the X2 standard, which
20 is to say you want to tune your export limits to the actual
21 conditions that are out there.

22 Now, the export limits do that a little bit because
23 those are affected by what year type you are in, and
24 certainly, the urban/ag proposal also makes some attempt at
25 fine tuning exports to conditions. They have a certain

1 percentage that you take, which means as inflow drops over
2 exports, but I think that both of those can be improved
3 upon. Maybe we can find something in the middle so that
4 when the environment needs to have pumping really cut back,
5 it is cut back, and when there are good conditions so that
6 you can pump a lot, then they could pump a lot.

7 I don't think either of these proposals catch that
8 optimal point. For example, if X2 moves according to
9 basically the pattern of flows that you see coming out of
10 the Delta over many weeks, easily you could picture a
11 scenario where X2 is very far upstream, which means that all
12 the fish that are linked to X2 are upstream and near the
13 pumps, and then you have a freshette come down through the
14 Delta.

15 At that point, using the CUWA or the urban/ag
16 standard, you would be able to pump a lot of water all of a
17 sudden because the inflows of the Delta have gone way up,
18 but X2 is way upstream, so you could have a large take using
19 the X2 standard. So, that's not optimal.

20 But at the same time, with fixed pumping limits, you
21 could foresee a situation where you would have massive flows
22 going through the Delta which you are still unable to pump,
23 a couple of thousand cfs. That's probably not reasonable,
24 at least in terms of optimizing the system.

25 So, what we are working on and we would like to

1 provide to the Board as soon as we can, we hope in time to
2 make a difference, would be a more complex function as in
3 the case of X2. That's a very complex function if you were
4 to look at it.

5 We are looking at such factors as inflow, diversions
6 into the Delta islands, the X2 position, and also, the
7 distribution of flows between the San Joaquin and Sacramento
8 Rivers, and what we would like to do is to meld all of those
9 variables into some form of sliding scale or function which
10 then would determine month by month what kind of exports
11 would be allowed.

12 We think that doing it this way would perhaps give us
13 the protection that we want and at the same time support a
14 high enough level of export that this thing can fly. That's
15 what everyone wants.

16 I don't think that the existing proposals do that and
17 so to that extent we are fighting where we don't need to
18 fight.

19 Anyway, we have presented some data to you on a
20 proposed alternative standard for you to look at, but this
21 is an additional component I think we will want to
22 substitute in there for the export limits that we have sent
23 to you so far.

24 Those are all the comments I had.

25 MR. CAFFREY: All right, thank you, Mr. Fullerton.

1 Are there questions from Board members, Mr. Pettit or
2 staff?

3 MR. PETTIT: I would ask Mr. Fullerton if you have a
4 projection of time, a date when you would like to have some
5 proposal ready?

6 MR. FULLERTON: I think we could probably come up
7 with something in the form of an equation fairly quickly.
8 We don't have the modeling ability to actually fine tune
9 what the actual numbers should be so that we can get good
10 protection for the environment and assess the export
11 impacts. We just don't have that computer capability to be
12 able to do that, but I think we would like to present to the
13 Board, and also to the other stake holders involved in this
14 proceeding, some of our ideas and see if maybe we can run
15 with it.

16 As Gary said, we presented this stuff in the past,
17 but the actual level of dialogue between the environmental
18 community and the urban/ag group has been less than we would
19 desire up to now.

20 MR. CAFFREY: Thank you very much, Mr. Bobker and Mr.
21 Fullerton. We appreciate your comments.

22 Next we have Dr. Peter Moyle.

23 Dr. Moyle, welcome.

24 DR. MOYLE: Thank you. I am pleased to be here.

25 I have some very brief remarks on a relatively narrow

1 subject compared to what you have been hearing recently, at
2 the request of the County and City of San Francisco.

3 As you know, there are two standards for the estuary,
4 one for Suisun Bay, the X2 standard, which are basically
5 ecosystem standards; and one for the San Joaquin River,
6 which is specifically striped bass.

7 I'm sure, you know, I am a very strong supporter of
8 the X2 standards or some variation of them. I do question
9 the need for an electrical conductivity standard for striped
10 bass in the San Joaquin River.

11 My reasons for this are fundamentally philosophical
12 because I am really looking for ecosystem standards. That
13 is what we need out there, improving the entire system, not
14 to benefit one species.

15 And when you look at the striped bass criteria, they
16 really are just for striped bass and striped bass will be
17 the primary beneficiary. This creates some problems.

18 One thing from a philosophical perspective, they are
19 an exotic species and they are abundant, and they are
20 recovering in their native range, and for that reason, they
21 don't merit the same attention as the declining species,
22 essentially the San Joaquin fall-run chinook.

23 I think if you are going to be allocating water for
24 fish in the San Joaquin River, it should be aimed at the
25 native species, specifically at the salmon rather than at

1 striped bass.

2 Also, the striped bass criteria do seem to be based
3 on the concept of two spawning populations of striped bass;
4 one that spawns in the Sacramento and one that spawns in the
5 San Joaquin, and there is really not much evidence for that.

6 Again, there doesn't seem to be any special reason
7 for providing spawning criteria in the San Joaquin itself.
8 Right now the majority of the spawning does take place in
9 the Sacramento River.

10 Also, it does concern me that April and May, which is
11 when these standards take place, this is the same time that
12 the juvenile salmon are moving downstream, and presumably,
13 if we have special standards for striped bass, we may be
14 bringing the striped bass up at the same time as juvenile
15 salmon are coming down, and perhaps increasing predation
16 pressure. It is really hard to say for sure what would
17 happen there, but it certainly is a concern.

18 And finally, I think more importantly, if we are
19 improving conditions for striped bass under any
20 circumstances in the system, we are probably going to be
21 doing detrimental things to other species out there because
22 striped bass is the top predator in the system. It does
23 prey on salmon. Salmon are not a major food item for the
24 bass, but it could be very significant for the salmon.

25 There is really a concern there that we want to avoid

1 enhancing the striped bass at the expense of other fishes
2 and we need to bring everything up together, having equal
3 system-type standards like the X2 standards.

4 And what this means, of course, is I am not really
5 opposed to enhancing striped bass numbers, they are really
6 part of the ecosystem. I just don't think we need to do
7 anything special for them. They are going to recover--
8 regardless of whatever we do to benefit the system, is
9 going to ultimately benefit striped bass. They will recover
10 along with everything else.

11 So, the question for striped bass is when, not if,
12 which means that we really don't need special standards just
13 for striped bass.

14 That's the extent of my remarks. Thank you.

15 MR. CAFFREY: Thank you, Dr. Moyle.

16 Any questions by Board members. Anything from Mr.
17 Pettit? Staff?

18 MR. HOWARD: Dr. Moyle, to some extent it appears as
19 though one of your principal concerns is that all the water
20 would be allocated toward this standard.

21 One of the proposals that has been advanced is that
22 an implementation program would probably more appropriately
23 focus on agricultural drainage controls, so you would still
24 adopt the standards, but the implementation program would
25 not incorporate additional releases specifically for that.

1 Is that a more appropriate approach, in your mind?

2 DR. MOYLE: Definitely it is a more appropriate
3 approach as far as I am concerned, but I am not sure EPA has
4 the power to retire land in the San Joaquin Valley, and
5 obviously, providing water tends to be the easier thing to
6 do to satisfy these kinds of pressures.

7 But, I agree, I think land retirement, trying to find
8 some way to reduce the saline pollution, is exactly the
9 thing that we need to do, but it is difficult, as you know.

10 MR. HOWARD: Thank you.

11 MR. CAFFREY: Thank you, Dr. Moyle.

12 Steve Ottemoeller, Chief of Water Resources. Good
13 afternoon.

14 MR. OTTEMOELLER: Good afternoon, Mr. Chairman and
15 members of the Board.

16 I am Steve Ottemoeller. As of Monday, I am Chief of
17 Water Resources at Westlands. I used to be Chief of
18 Operations.

19 I guess I would like to just take a couple of minutes
20 to emphasize the importance that we place on the joint
21 proposal, and I want to say joint proposal and I highlight
22 it on my copy.

23 I recall a few months ago when the agricultural
24 interests and the urban interests realized we had to get
25 together on some kind of approach that we could take to the

1 Board. We sat in a meeting and I can recall one of the few
2 things that we would agree on is that we would probably not
3 come up with a joint proposal. It would probably be a joint
4 approach or it would have some very common themes involved
5 in our proposal, but as we have had the time available to us
6 through this process and we appreciate the patience the
7 Board has had in developing this process, we have been able
8 to, I think, come up with what is a joint proposal or at
9 least the concept of a joint proposal, and I will explain my
10 weasel-word in a minute.

11 I don't think I can overemphasize the importance and
12 the significance of the process that we have gone through to
13 develop a consensus on these standards.

14 The length of time that it has taken us in terms of
15 several months, is by no means an indication of having a
16 hard time getting our calendars together. Quite the
17 contrary, it has been one of the highest priorities of all
18 the member agencies involved.

19 For the last at least six weeks, there have been
20 sometimes daily meetings by members of the agencies and
21 their consultants. In our case, we have kind of worked on
22 the tag-team basis. We can't always make the same meetings,
23 but we try for consistency, and I know other agencies have
24 given the same importance to this process.

25 We have had biological and engineering consultants

1 and I think I can assure you, from my perspective anyway,
2 that they have not compromised their integrity at all in
3 advising us on achieving what we have all agreed are the
4 goals of this process.

5 At times, even as staff members of agencies that are
6 governed by Board of Directors, with general guidelines on
7 how we ought to approach this process, we even have been out
8 on a limb, so to speak. It is difficult for us to say,
9 Westlands Water District, supports everything that is in
10 this proposal right now, but I can assure you we strongly
11 support this process and feel that what we have come up with
12 here as a group is probably about as good as we are going to
13 get in terms of something that is very broadly acceptable
14 and meets our goals.

15 We definitely do support the Category 3 issues that
16 are addressed in here. We support the need for the Board to
17 address those issues in whatever way possible in your
18 proposed standards.

19 We do believe that when implemented, the Board's
20 proposal, particularly if it is based on this proposal, will
21 be well balanced and protective of the Delta.

22 Throughout this process it became apparent that while
23 we could agree generally on things, it became sometimes the
24 very smallest details that were very important to different
25 interests involved in coming up with these proposals.

1 So, we also, in that light believe that it is
2 important that the Board consider as much as you can that
3 this is a package that's designed to work together. We, by
4 no means, would say that the Board doesn't have the
5 authority or ability to make some refinements or changes,
6 but as I stated earlier, we have put a lot of effort into
7 this and I think that is indicative of the extent to which
8 there has been compromise and sweating blood over this whole
9 process, given the fact that we are, in fact, proposing
10 something that by estimates costs over a million dollars.

11 As an agency that is the first to see those costs
12 when they occur in the Central Valley Project system, I can
13 assure you we have been very careful about the kind of
14 things that we would agree to, or agree should be proposed
15 as far as the standards.

16 Again, we appreciate the Board's patience in allowing
17 us the time to get together as a group to develop a
18 recommended standard.

19 We believe, though, that in the end, particularly
20 during the approval process, it will all have been worth
21 it.

22 For those of you who recall the process that evolved
23 after Draft D-1630 was announced, we can certainly develop a
24 lot of effort and a lot of shotgun blasts from a lot of
25 different directions on something that's been proposed.

1 We had as a group, or as individual agencies, a lot
2 of discussions on the concepts, but certainly nowhere near
3 the effort that we have put into developing a joint
4 proposal.

5 In that light, and pardon me if I repeat myself, I
6 think we would greatly appreciate the Board's willingness to
7 consider that this proposal is an integrated package which
8 is designed to meet the protection and balancing of the
9 Board, and also, as something that we believe will have the
10 greatest opportunity for acceptance by the largest group,
11 including the federal agencies which are responsible for
12 fish and wildlife and other water quality issues.

13 Those are my comments.

14 MR. CAFFREY: Thank you very much, Steve. We
15 appreciate your comments and let me see if there are
16 questions from Board members.

17 Anything from staff?

18 Thank you very much. We appreciate your comments.

19 That completes the cards that we have for this final
20 workshop.

21 I want to thank all the parties for their diligence,
22 and all their hard work and for their patience.

23 We ask you that are still going to be doing some
24 refining of your numbers, please do them as quickly as you
25 can, stay in touch with Mr. Pettit and the staff as they

1 prepare the draft document.

2 Your input has been and will continue to be essential
3 to the success of this process and we are very appreciative
4 of it.

5 Thank you all very much for your attendance.

6 (The workshop was adjourned.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

REPORTER'S CERTIFICATE

3

----oOo----

4

5

6

7

This is to certify that I, ALICE BOOK, a Certified Shorthand Reporter, was present during the Workshop of the STATE WATER RESOURCES CONTROL BOARD, STATE OF CALIFORNIA, held in Sacramento, California, on October 19, 1994;

8

9

10

11

That as such I recorded in stenographic writing the proceedings held in the matter of Review of Water Quality Standards for the San Francisco Bay/Sacramento-San Joaquin Delta Estuary;

12

13

14

15

That I thereafter caused my said stenographic writing to be transcribed into longhand, typewriting and that the preceding Volume VIII, pages 1 through 132, constitute said transcription;

16

17

18

That the same are true and correct transcriptions of my said stenographic writing for the date and subject matter hereinabove described.

19

Dated: October 24, 1994

20


21

22

23

24

25



ALICE BOOK